

1 BEFORE THE ARIZONA POWER PLANT LS-371

2 AND TRANSMISSION LINE SITING COMMITTEE

3 IN THE MATTER OF THE APPLICATION OF) DOCKET NO.
 4 ARIZONA PUBLIC SERVICE COMPANY, IN) L-00000D-24-0156-
 5 CONFORMANCE WITH THE REQUIREMENTS) 00234
 6 OF ARIZONA REVISED STATUTES SECTION)
 7 40-360, ET SEQ, FOR A CERTIFICATE)
 8 OF ENVIRONMENTAL COMPATIBILITY)
 9 AUTHORIZING THE REDHAWK POWER PLANT)
 10 EXPANSION PROJECT, WHICH INCLUDES)
 11 THE CONSTRUCTION OF NATURAL GAS)
 12 TURBINES, A 500KV SWITCHYARD AND)
 13 RELATED FACILITIES, ALL LOCATED TWO)
 14 MILES SOUTHEAST OF THE INTERSECTION)
 15 OF ELLIOT ROAD AND WINTERSBURG ROAD) EVIDENTIARY
 16 IN MARICOPA COUNTY, ARIZONA.) HEARING
 17)

11

12 At: Goodyear, Arizona

13 Date: August 20, 2024

14 Filed: August 27, 2024

15

16 REPORTER'S TRANSCRIPT OF PROCEEDINGS

17 VOLUME II

18 (Pages 146 through 408)

19

20

21 GLENNIE REPORTING SERVICES, LLC
 22 Court Reporting, Video & Videoconferencing
 1555 East Orangewood Avenue, Phoenix, AZ 85020
 602.266.6535 admin@glennie-reporting.com

23

24 By: Robin L. B. Osterode, CSR, RPR
 Arizona CR No. 50695

25

1	VOLUME I	August 19, 2024	Pages 1 to 145
2	VOLUME II	August 20, 2024	Pages 146 to 408
3	VOLUME III	August 21, 2024	Pages 409 to 591
4	VOLUME IV	August 22, 2024	Pages 592 to 702

5

6

INDEX TO PROCEEDINGS

7

	ITEM	PAGE
8	Opening Statement of Mr. Derstine	13
9	Opening Statement of Ms. Doerfler	25
10	Presentation of Virtual Tour	113
11	Public Comment Session	132
12	Closing Statement of Mr. Derstine	557
13	Closing Statement of Ms. Doerfler	565
14	Deliberations	602
15	Vote CEC-234	698

16

17

INDEX TO EXAMINATIONS

18

19

20

21

22

23

24

25

	WITNESSES	PAGE
	BRIAN COLE, MICHAEL EUGENIS, and PETER VAN ALLEN - Applicant	
	Direct Examination by Mr. Derstine	29
	Direct Examination (Cont.) By Mr. Derstine	156
	WITNESSES	PAGE
	MARK TURNER - Applicant	
	Direct Examination by Mr. Derstine	113

1 INDEX (Continued):

2

INDEX TO EXAMINATIONS

3 WITNESSES PAGE

4 JASON SPITZKOFF

5 Direct Examination by Ms. Benally 283

6

WITNESSES

7

ANNE CARLTON and MARK NICHOLLS

8

Direct Examination by Mr. Derstine 318

9

10 WITNESSES

11 MARK TURNER and KEVIN DUNCAN

12 Direct Examination by Ms. Benally 420

13 Direct Examination by Mr. Derstine 475

14

INDEX TO EXHIBITS

15

NO.	DESCRIPTION	IDENTIFIED	ADMITTED
16	APS-1 Application For Certificate of Environmental Compatibility (CEC) (filed July 8, 2024) - Page One	225	533
19	APS-2 Project Placemat	--	533
20	APS-3 Witness Summary of Brian Cole	--	533
21	APS-4 Witness Summary of Michael Eugenis	--	533
23	APS-5 Witness Summary of Peter Van Allen	--	533
24	APS-6 Witness Summary of Jason Spitzkoff	--	533

16

17

18

19

20

21

22

23

24

25

1 INDEX (Continued):

2

INDEX TO EXHIBITS

3

4 NO.	DESCRIPTION	IDENTIFIED	ADMITTED
5 APS-7	Witness Summary of Anne Carlton	--	533
6 APS-8	Witness Summary of Mark Nicholls	--	533
7 APS-9	Witness Summary of Mark Turner	--	533
8 APS-10	Witness Summary of Kevin Duncan	--	533
9 APS-11	Witness Presentation Slides	47	533
10 APS-12	Proposed Certificate of Environmental Compatibility with Maps	--	533
11 APS-13	Affidavits - Proof of Publication of Notice of Hearing	526	533
12 APS-14	Proof of Delivery of Application for Certificate of Environmental Compatibility to Public Locations	528	533
13 APS-15	Proof of Delivery of Pre-Filing Conference Transcripts to Public Locations	528	533
14 APS-16	Proof of Website Posting (Screenshot)	528	533
15 APS-17	Proof of Service to Affected Jurisdiction	527	533
16 APS-18	Proof of Posting: Photos of Notice of Hearing Signs Posted at Site and Map	526	533

25

1 INDEX (Continued):

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INDEX TO EXHIBITS

NO.	DESCRIPTION	IDENTIFIED	ADMITTED
APS-19	Letter to State Historic Preservation Office (SHPO)	468	533
APS-20	Public Involvement Summary	514	533
APS-21	Tour Itinerary and Map	--	533
APS-22	North American Electric Reliability Corporation, 2023 Long-Term Reliability Assessment, December 2023	531	533
APS-23	2023 Western Assessment of Resource Adequacy, Western Electricity Coordinating Council	532	533
APS-24	Mark Specht, To Understand Energy Storage, You Must Understand ELCC, Union of Concerned Scientists Blog (June 14, 2021) https://blog.ucsusa.org/mark-specht/to-understand-energy-storage-you-must-understand-elcc/	--	WITHDRAWN
APS-25	Cameron Murray, Canadian Solar's Recurrent Energy signs 20-year tolling agreement for 1.2GWh BESS in Arizona, Energy Storage News (Aug. 16, 2023), https://www.energy-storage.news/canadian-solars-recurrent-energy-signs-20-year-tolling-agreement-for-1-2gwh-bess-in-arizona/	--	WITHDRAWN

1 INDEX (Continued):

2

INDEX TO EXHIBITS

3

NO.	DESCRIPTION	IDENTIFIED	ADMITTED
4 APS-26	5 Cameron Murray, Arizona 6 utility APS signs 20-year 7 tolling agreement with 8 Strata for 1GWh BESS, 9 Energy Storage News (May 25, 2023), https://www.energy-storage.news/arizona-utility-aps-signs-20-year-tolling-agreement-with-strata-for-1gwh-bess/	--	WITHDRAWN
10 APS-27	11 Social Media Posting with 12 Hearing Information	530	533
11 APS-28	12 Public Hearing Notification 13 Postcard Mailed August 5, 14 2024	529	533
13 APS-29	14 Russ Wiles, APS, SRP topped 15 a record for energy demand 16 this week. How they kept 17 the lights on, Arizona 18 Republic/AZCentral.com (Aug. 7, 2024), https://www.azcentral.com/story/money/business/2024/08/07/aps-srp-meet-energy-demand/74701367007/	--	WITHDRAWN
19 APS-30	20 Nick Karmia, Like SRP, APS 21 also broke peak electricity 22 demand record on 116-degree 23 day, KJZZ Phoenix (Aug. 8, 24 2024), https://www.kjzz.org/kjzz-news/2024-08-08/like-srp-aps-als-broke-peak-electricity-demand-record-on-nearly-116-degree-day	--	WITHDRAWN

24

25

1 INDEX (Continued):

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INDEX TO EXHIBITS

NO.	DESCRIPTION	IDENTIFIED	ADMITTED
APS-31	Heidi Ratz, Vijay Satyal, Ph.D., Sydney Welter, Resource Adequacy in the Western Interconnection, Western Resource Advocates and Clean Energy Buys Institute(Aug. 2023) https://westernresourceadvocates.org/wp-content/uploads/2023/08/Resource-Adequacy-in-the-Western-Interconnection-August-2023.pdf	--	WITHDRAWN
APS-32	Transcript of Alexander Routhier's Testimony from February 11, 2022, in the matter of Salt River Project's Expansion of the Coolidge Generating Station, Arizona Corporation Commission Docket No. L-00000B-21-0393-00197	--	WITHDRAWN
APS-33	ACC Staff Letter 08-14-2024	309	533
APS-34	PJM Interconnection Special Report, Strategies for Enhanced Gas-Electric Coordination: A Blueprint for National Progress (Feb. 21, 2024), https://www.pjm.com/-/media/library/reports-notices/special-reports/2024/20240221-strategies-for-enhanced-gas-electric-coordination-paper.ashx	--	WITHDRAWN
APS-35	APS Revised Proposed Certificate of Environmental Compatibility	533	533

1 INDEX (Continued):

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INDEX TO EXHIBITS

NO.	DESCRIPTION	IDENTIFIED	ADMITTED
CHM-1	Proposed form of CEC	602	FOR REFERENCE
CHM-2	CEC with edits	602	FOR REFERENCE
CHM-3	Applicant proposed CEC with additional proposed Conditions	602	FOR REFERENCE
CHM-4	Revised attachments to proposed CEC	602	FOR REFERENCE

1 BE IT REMEMBERED that the above-entitled
2 and numbered matter came on regularly to be heard before
3 the Arizona Power Plant and Transmission Line Siting
4 Committee at Hampton Inn & Suites, 2000 North Litchfield
5 Road, Goodyear, Arizona, commencing at 9:00 a.m. on
6 August 20, 2024.

7

8

9 BEFORE: ADAM STAFFORD, Chairman

10 LEONARD C. DRAGO, Department of Environmental
Quality

11 ROMAN FONTES, Counties
(Videoconference appearance.)

12 DAVID FRENCH, Arizona Department of Water Resources

JON H. GOLD, General Public

13 NICOLE HILL, Governor's Office of Energy Policy

R. DAVID KRYDER, Agriculture Interests

14 MARGARET "TOBY" LITTLE, General Public

(Videoconference appearance.)

15 GABRIELA SAUCEDO MERCER, Arizona Corporation
Commission

16

17

APPEARANCES:

18

For the Applicant:

19

SNELL & WILMER

20 By: Matthew Derstine

One East Washington Street, Suite 2700

21 Phoenix, Arizona 85004

22 PINNACLE WEST CAPITAL CORPORATION

By: Linda Benally

23 400 North 5th Street, MS 8695

24 Phoenix, Arizona 85004

25

1 APPEARANCES (Continued):

2 For the Intervenor Western Resource Advocates:

3 WESTERN RESOURCE ADVOCATES
4 By: Emily Doerfler
5 1429 North 1st Street, Suite 100
6 Phoenix, Arizona 85004
7 (Videoconference appearance.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 CHMN STAFFORD: All right. Let's go back
2 on the record. We have been joined by members Kryder and
3 Hill and French -- Member French is in the flesh today
4 instead of attending remotely, so welcome members.

5 Mr. Derstine, I believe you were still in
6 the middle of direct for Mr. Eugenis.

7 MR. DERSTINE: That's correct. Good
8 morning, Mr. Chairman, members of the Committee.

9 (Michael Eugenis was previously duly
10 affirmed by the Chairman.)

11

12 D I R E C T E X A M I N A T I O N (Cont.)

13 BY MR. DERSTINE:

14 Q. Mr. Eugenis, I think when we ended the day or at
15 least ended your testimony yesterday at around 4:30, you
16 had just wrapped up your discussion of the integrated
17 resource plan, and I think there was a question, maybe it
18 was a -- maybe it was a two-part question that you
19 answered concerning gas capacity, and I think after the
20 hearing you said oh, I'm not sure I answered both parts
21 of that question. So do you want to address that now?

22 A. (MR. EUGENIS) Yes, thank you, Mr. Derstine.

23 We received a question yesterday about our
24 ability to fuel the proposed units in the Redhawk
25 Expansion Project, in addition to the other units that

1 are in the surrounding region, and I had maybe a little
2 hastily answered just "yes" to that question. I just
3 wanted to clarify that point that APS has ensured that we
4 have sufficient gas transportation rights to fuel our
5 facilities, but I cannot speak to the other entities that
6 both own facilities or may have transportation rights on
7 the pipeline, but in our study work we're quite confident
8 in our ability to fuel these -- these proposed units at
9 Redhawk.

10 Q. Okay. Anything else you wanted to cover from
11 yesterday?

12 A. (MR. EUGENIS) No, sir, I'm prepared to do a
13 transition here unless you want to start me.

14 Q. Well, I think the transition is we're moving to
15 a new subject, a new topic, the All-Source RFP, the 2020
16 All-Source Request for Proposal. So I'm not quite sure
17 what you have planned but do you want to start with just
18 a general discussion about that, what is the All-Source
19 RFP?

20 A. (MR. EUGENIS) Absolutely.

21 And thank the Committee members yesterday too,
22 we've made it through the most technical part of my
23 discussion today, and so breathe a little bit easier, the
24 next portion of this should be a little bit more familiar
25 and I think is a little bit less abstract in the concepts

1 provided. So thank you for bearing with me yesterday as
2 we moved through some kind of complicated things.

3 The IRP, as you recall yesterday, uses generic
4 cost information whenever we put together our assumptions
5 and those portfolios are developed. And so using public
6 sources that's where that cost information comes from,
7 but ultimately, we need to know what are the projects
8 that are available to APS to contract with and provide
9 capacity for our customers. And we do that through the
10 All-Source RFP, or request for proposal process.

11 And so this is our time to solicit the market,
12 provide some information as to what APS is looking for,
13 what time frame we're looking for, those resources, and
14 actually receive those specific bids, specific projects
15 and locations for us to evaluate in terms of what makes
16 the most economic portfolio, maintaining reliability for
17 our customers.

18 So the 2023 All-Source RFP is where this project
19 was bid in and where I'm going to focus my comments today
20 in terms of how we approach that RFP, the evaluation
21 method that we use for the IRP -- or the RFP, and just
22 give you a little bit more information of how that
23 process is conducted.

24 At the highest level, the '23 RFP solicited for
25 about a thousand megawatts of reliable or on-peak

1 capacity. It was focused on years 2026 and 2028, which
2 means that we were looking for projects that could go in
3 service between those years, so '26, '27, and 2028. We
4 also stated as part of the RFP that we are looking for at
5 least 700 megawatts of renewable resources, but
6 ultimately we would select a portfolio based off of the
7 bids that we receive, the pricing information of those
8 bids and the changing needs of our customers, quite
9 frankly.

10 We also identified some specific opportunities
11 within that RFP, the Redhawk location is one of those
12 specific opportunities. We also identified Sundance
13 which is another location that APS already has existing
14 generation at, as well as the Agave Solar Facility for
15 the potential for battery energy storage to be added and
16 then another development project that APS has that's to
17 the west of the Redhawk facility that we're looking at,
18 potentially some solar and energy storage additions there
19 as well.

20 Q. So when you -- sorry to interrupt you -- when
21 you say you identified opportunities, I gather what you
22 mean by that is APS identified locations, Redhawk Plant,
23 for example, where projects could be developed, and the
24 All-Source RFP specifically asked for proposals to
25 develop resources at those locations?

1 A. (MR. EUGENIS) Exactly. So these are locations
2 that we have existing infrastructure or we have existing
3 development opportunities and we're identifying them as
4 where we think there may be value for our customers. So
5 certainly not a guarantee that we would select bids from
6 these specific opportunities, but we want to give
7 information to the marketplace and to developers to say
8 we would like you to look at these areas, sharpen your
9 pencils here, and provide any bids or projects that you
10 have for these areas, because we think that they may
11 compete favorably.

12 Q. I guess with that background on the All-Source
13 RFP, I think looking ahead you have some slides that are
14 going to take the Committee through the RFP process?

15 A. (MR. EUGENIS) That's correct.

16 So at the highest level, the RFP goes through
17 kind of these four categories as we look at the
18 evaluation of the bids that we receive. And so this
19 covers the work that my team does as we look at the
20 specific projects that are bid into that RFP, and then,
21 ultimately, as we create that least-cost group of
22 resources that maintain reliability for our customers.

23 At -- so at a high level, it goes through the
24 bid compliance phase, which is really just reviewing the
25 bids for completeness and conformance with the RFP

1 requirements. It goes through an analysis phase where we
2 look at all of the specifics of the project and so
3 calculate some kind of key metrics associated with those
4 projects. Finally, we then short list, which is now a
5 condensed list of projects that we're actually going to
6 pursue negotiations with, and then we take that
7 short-listed project list and we put that through the
8 same tool that we use for the IRP, which is that
9 long-term capacity expansion tool that we talked about
10 yesterday to identify what that least-cost portfolio is.

11 So I'm going to spend a couple of minutes on
12 each of these different categories just explaining them
13 in a little bit more depth. And then I'm sure my legal
14 counsel will have a couple of questions on the way and
15 welcome any questions from Committee members as well.

16 At the beginning, during the bid compliance
17 phase, we talked about this as being an All-Source RFP,
18 and so it can be a little bit of a misnomer in that not
19 every single bid that we receive is necessarily qualified
20 as part of that All-Source RFP. I said that we were
21 focused on years 2026 through 2028, so projects outside
22 of that time frame do tend to be disqualified as a part
23 of this, because we really want to focus our procurement
24 on those projects that will serve the needs of our
25 customers here in the next couple of years.

1 We also screen for completeness of data as well.
2 There's a lot of technical information that's necessary.
3 There's a lot of compliance information, as well as
4 commercial requirements that come in developing projects
5 of this size and scale. And so we want to make sure we
6 have all of that necessary information that's been
7 provided from the bidders at this stage before we move
8 forward to doing some actual analysis on those bids.

9 This part of the RFP is a pass/fail process. So
10 really you've got -- there's not a ranking that occurs at
11 this time. This is more focused on do we have the
12 information that we need and do these bids qualify to be
13 as part of the -- the RFP.

14 CHMN STAFFORD: About -- how is the RFP
15 structured? Are you just -- are you looking for
16 provision of power during certain peak hours or is
17 it -- is it you can provide power 24 hours a day with
18 emphasis on certain hours? How was it -- how was it
19 structured?

20 MR. EUGENIS: Chairman Stafford, thank you
21 for that question. We identify -- we provide a heat map
22 of higher-value periods as part of the RFP, and so that
23 gives some indication to bidders of where we see
24 resources that would be more valuable to our system and
25 where we're looking for those bids. In the past, you've

1 seen more specific RFPs come from APS, and so we may RFP
2 specifically for a peaking resource or we may do
3 something that's more targeted towards renewables.

4 As we did this All-Source RFP and as we've
5 kind of learned best practices in the industry, we try to
6 keep it more open. And so by using that heat map I've
7 identified where there's more value, but ultimately, it's
8 not just peaking resources that I'm looking for, it's not
9 necessarily just energy resources I'm looking for. I
10 really need that fulsome group that's going to provide
11 both the capacity that our customers need, as well as the
12 energy.

13 CHMN STAFFORD: Perhaps you could explain
14 what a heat map is a little better. I mean, I'm sure
15 there's a member that's going to ask "What's a heat map?"
16 here pretty soon, so let's -- I want to jump -- jump
17 ahead and just have you do that now, please.

18 MR. EUGENIS: Chairman Stafford, thank you
19 for that question. In this context, a heat map shows
20 higher-value periods of time compared to lower-value
21 periods of time. So we provide it as a year, and it
22 shows hours of the day in that year and identifies where,
23 on average, we see essentially power prices be higher or
24 where we have needs on our system which, you know, just
25 in kind of pure economic terms scarcity drives prices

1 higher. And so by providing that value information on
2 kind of a -- both an hourly basis and throughout the
3 year, it gives us that -- that ability to communicate
4 what resources would be valuable to the system.

5 CHMN STAFFORD: Thank you.

6 MEMBER KRYDER: Mr. Chairman?

7 CHMN STAFFORD: Member Hill, then Member
8 Kryder.

9 MEMBER HILL: Thank you, Mr. Chair.

10 I always think of RFPs being requests for
11 consultants or companies to respond, like a merchant.
12 How does -- how does capital investments that APS wants
13 to build and make as part of their system relate to the
14 RFP process? Are you competing with -- do you put your
15 own projects in to compete with merchant projects? How
16 does that -- how does an APS project work in that way?

17 MR. EUGENIS: Member Hill, thank you for
18 this question. This is a fantastic question. Any
19 development that APS takes -- or undertakes needs to
20 compete as part of this RFP process as well. So we want
21 to make sure that our customers are getting the best
22 value for projects that exist. And so external
23 developers bid in their projects, and we obviously look
24 at those bids, and those are not for APS ownership, but
25 we also receive bids that we typically call, like, an

1 engineer procure and construct, or EPC, bid, which would
2 be for an entity to perform those tasks for a project
3 that ultimately would become APS ownership into the
4 future.

5 So in the case of the 2023 RFP, APS itself
6 did not bid in, however, we are soliciting the
7 marketplace for entities to perform EPC-like services for
8 us for projects that ultimately APS can own. And what's
9 important about that is they compete on the same level as
10 everybody else. And you're not going to see kind of the
11 ownership projects in a silo or treated differently than
12 other developer projects.

13 MEMBER HILL: Great. Thank you.

14 CHMN STAFFORD: Member Kryder.

15 MEMBER KRYDER: Yes. I sure appreciate the
16 insight that you're giving into the selection of first
17 the bidders and ultimately the successful bidders on your
18 RFPs. Do you have -- I hope this is not seen
19 improperly -- but do you -- do you take bidders from
20 outside the U.S.?

21 MR. EUGENIS: Member Kryder, I don't know
22 the location of all the bidders that come in. Some of
23 them may have headquarters outside of the U.S.
24 Typically, we rely on bidders and tend to contract with
25 bidders that have quite a bit of development experience

1 both in Arizona or throughout the United States. There's
2 several partnerships that, you know, we've found and
3 found value in as we've gone through several of these
4 RFPs over the last couple of years, and that development
5 experience is definitely a part of our evaluation and
6 frankly, is how we know that we're going to get a quality
7 project at the end of this. And so those companies tend
8 to have quite a bit of either projects here in Arizona,
9 they may have projects that are already connected with
10 APS or a significant portfolio of resources in the United
11 States.

12 MEMBER KRYDER: Okay. Thank you for that.
13 Looking -- and I don't mean this as a slap in any way --
14 but at the dark side of that, does that mean you have to
15 be a member of the club to really get through?

16 MR. EUGENIS: Member Kryder, no, as part of
17 the RFP process, and as you'll see in a slide or two
18 here, cost is the number one weighting factor as far as
19 our evaluation of these bids. We want to drive value for
20 our customers above all, making sure that we maintain
21 reliability at that same time. And so while we do
22 evaluate some of the respondent risk as well as, you
23 know, what is the commercial feasibility of some of these
24 developers, that cost is their number one priority in
25 terms of capturing value.

1 MEMBER KRYDER: Okay. So I hear
2 reliability and cost are what drive you toward your final
3 decision; is that correct?

4 MR. EUGENIS: Yeah, Member Kryder, that's
5 correct.

6 MEMBER KRYDER: Okay. And the reason I
7 raise that is, as we are in an increasingly global
8 situation, and there are really some fine, fine companies
9 ex-U.S., just as a thought, do your RFPs, are they
10 published internationally or how -- how does the -- how
11 do the applicants find out about you, about a RFP better
12 said?

13 MR. EUGENIS: Member Kryder, we do publish
14 our RFP on our website. We also use, and in the past
15 have used, an external consultant that works with many
16 companies inside the United States, and has an extensive
17 network of developers that they've interacted with
18 through other RFPs. And so we leverage, almost like a
19 mailing list, to make sure that those respondents are
20 made aware of it. I'm not aware of any industry
21 publications that we use to publish the fact that we're
22 going out for a RFP, but I'd have to check to be sure.

23 MEMBER KRYDER: Thank you very much.
24 That's -- might be an interesting cost saver in the
25 future. I don't know what the -- oh, my goodness -- what

1 Corporation Commission or other of your ratepayers or
2 other groups that you face would say about this, but
3 there are some really fine ex-U.S. companies that might
4 save you a nickel or a dime.

5 MR. EUGENIS: Thank you, Member Kryder.

6 CHMN STAFFORD: Member Fontes, you have a
7 question?

8 MEMBER FONTES: Yes, Mr. Chairman. I
9 apologize about the camera, I'll have it restored
10 shortly.

11 But the question is, can you relate on this
12 particular RFP the exact evaluation criteria and then the
13 percentages of those criteria to the heat map?
14 I'm -- I've been on the IPP side and I've been on the
15 evaluation side for procurement, particularly on the
16 transmission side. So on this one that this was awarded,
17 though, how does that heat map relate to the overall
18 scoring on the score card for that particular year is
19 what I'm looking for? Appreciate you.

20 MR. EUGENIS: Member Fontes, the heat map
21 is derived from our actual modeling software. And so
22 previously in my testimony, I talked about our long-term
23 capacity expansion modeling, which is how we identify
24 that least-cost portfolio. My team also does an even
25 more precise level of modeling called production cost

1 modeling. And production cost modeling solves at a
2 higher granularity than the long-term capacity expansion
3 modeling does, and is actually how we check those
4 long-term capacity expansion results into the future.
5 That modeling software is the source for the heat map
6 information, so it identifies what the pricing or what
7 the valuable times of day or times of year are for our
8 customers. As we go through the RFP process, though, and
9 as you'll see on, I think my next slide, we use more
10 generic pricing mechanisms or generic metrics to be able
11 to compare different projects as part of that RFP. And I
12 think -- I think I'll move to that slide now, actually,
13 because I think that our conversation has kind of matured
14 to this point.

15 The purpose of the more simplistic metrics
16 that we use as part of this analysis phase is essentially
17 to be able to group different types of resources
18 together, and then be able to compare them amongst each
19 other. And so before I take that next step of inputting
20 all that information into my model and really turning the
21 crank on an optimized solution, first I want to know of
22 the bids I received, which ones of these are competitive
23 with each other.

24 Maybe a useful analogy here is if you have
25 10 Ford F-150s that are sitting in front of you with

1 similar but maybe not exactly the same options, and
2 you've got different prices associated with each of
3 those, that -- those F-150s all basically do the same
4 thing. They all have beds, you can tow with them, they
5 can probably tow similar amounts. And if one of those is
6 25 percent more expensive than another, I know that I
7 don't need to spend time negotiating with that or even
8 evaluating that project into the future, because there's
9 just a price premium associated with it. So our analysis
10 looks to basically stack these resources in groups of you
11 can think of them like F-150s in front of you, or other,
12 you know, vehicle types, other resource types to compare
13 them together before moving to that next stage.

14 Member Fontes, does that help?

15 MEMBER FONTES: Not really. I appreciate
16 the prediction cost modeling. I'm actually beyond that.
17 So when you score it out on your score card for the final
18 selection beyond the initial, what I would call
19 screening, which you just explained, and you get to the
20 resource alignment technology risk price, respondent
21 risk, so the cost is 50 percent of the weighted criteria
22 for the final award; is that what I'm reading here?

23 MR. EUGENIS: That's -- Member Fontes,
24 that's correct. It's 50 percent of this analysis phase,
25 which determines the short list. So that's how we move

1 into the short-list process. You used the term "final
2 award," which made me think of when we actually execute
3 these contracts and the execution of the contracts
4 doesn't take place until we go through the portfolio
5 analysis piece, which identifies that that portfolio or
6 group of resources that's necessary.

7 MEMBER FONTES: What I'm trying to get at
8 is you got an initial review of the bidders and then you
9 have a subset of bidders, what is that final criteria
10 that you use to select this particular plant, so we
11 capture that for the record, if that's helpful. And
12 explain that in terms of, like, that final selection
13 criteria, is it cost that's the 50 percent that's really
14 looked at there? Help us capture that for our
15 understanding here.

16 MR. EUGENIS: Member Fontes, you're correct
17 that that final criteria really is the output of the
18 portfolio analysis tool, which heavily weights cost and
19 the best-fit resources to maintain reliability. So
20 Mr. Cole spent quite a bit of time yesterday in his
21 testimony talking about we need different resources for
22 different things. The IRP, as you remember from my
23 testimony yesterday, also identifies quite a few
24 different resources together, and then ultimately that
25 portfolio analysis tool takes the cost of the bids that

1 are available to it, and creates that least-cost
2 portfolio that maintains reliability.

3 So if I were to tell you, like, in general
4 the metric that's most important to us here is cost at
5 that reliability threshold.

6 MEMBER FONTES: Can you do me one favor
7 more, can you now relate it back to when you introduced
8 this, and you said when we framed up this vintage years
9 RFP, we talked about that we had some preferred
10 locations. Can you relate it back to how that relates
11 back to the transmission planning because this is a
12 generation asset, but I think when you look at that, you
13 were pinning some areas that you know are going to help
14 the balancing authority and the load factors on the
15 transmission side. And it is -- how does that relate
16 back to this final determination?

17 MR. EUGENIS: Member Fontes, we do also
18 screen for transmission and the ability to deliver these
19 projects on our transmission system. So as part of the
20 total cost of a project, I'd have to make sure I account
21 for the interconnection costs. And so for some projects,
22 like the one that we're talking about today, those are
23 fairly minimal. We're just talking about expanding an
24 existing substation, adding some bus works and breakers,
25 et cetera, and I think Mr. Spitzkoff can give you more

1 information on those specific network upgrades that are
2 necessary.

3 Other projects, as part of their
4 interconnection evaluation, which is handled by a
5 separate part of the business, may have additional
6 transmission needs outside of just the substation that's
7 necessary to connect them. And we have to take into
8 account those costs as part of that overall project cost
9 as well.

10 So by identifying these specific
11 opportunities, we're identifying places where we believe
12 that there may be existing transmission and then,
13 therefore, less overall cost associated with the project,
14 which means that it will compete favorably overall.
15 However, that does not guarantee a bid will be selected
16 from these -- these categories, they still have to
17 compete.

18 MEMBER FONTES: So when you did the
19 analysis, it started with the IRP, it broke it down for
20 this particular All-Source, it factored in what is the
21 optimal generation that could support both the demand
22 side, the transmission factor, and then that is
23 ultimately how you guys came to this decision, and said
24 that a peaker plant is better than, per se, energy
25 storage or additional renewable resources.

1 Is that -- is that a good summary so that
2 when we get to crafting the Certificate of Environmental
3 Compatibility and we have to address issues like
4 availability and reliability that sort of captures this
5 for you?

6 MR. EUGENIS: Member Fontes, that's
7 correct.

8 MEMBER FONTES: Mr. Chairman, I
9 appreciate -- appreciate the time, and that's all I have.

10 CHMN STAFFORD: Thank you.

11 Member Gold, you had a question, and then
12 Member Hill.

13 MEMBER GOLD: Mr. Chairman, thank you.

14 Here's the question I have: Along the lines
15 of Member Fontes, and you gave him an answer, I want
16 something very simple. Going back to your bid compliance
17 RFP requirements, were you specifically looking for a
18 power supplier that could turn on and turn off when
19 needed or were you just putting this all out to set
20 somebody who could throw in 700 to 1,000 megawatts? Were
21 you specific in your -- what you were looking for or were
22 you just, say I'll look for everything, and whoever comes
23 close to what I really want is what I'm going to narrow
24 it down to? How did you define your requirements to the
25 bidders?

1 MR. EUGENIS: Member Gold, we open it up to
2 any number of technology types, and so we didn't limit it
3 to just those that can be dispatchable or flexible.
4 However, in our evaluation criteria we do have those as
5 categories that are ranked among the bids that are
6 proposed, and so --

7 MEMBER GOLD: Wait, before you go on, right
8 there at that point is my question. When you sent this
9 bid out, what was your ranking, did you need something
10 that you can turn on and off the power, like a LM6000, or
11 could a solar plant or a wind plant or, oh, God knows,
12 any of the --

13 MEMBER FONTES: Battery energy storage --

14 MEMBER GOLD: Yes, please. Thank you. Or
15 battery energy stor- -- were you specifically looking for
16 something you could turn on and turn off, or did you just
17 need 700 to 1,000 megawatts in the middle of the night or
18 in the middle of the afternoon, you didn't care? Where
19 were you going with this?

20 MR. EUGENIS: Member Gold, we needed all of
21 those resources as a part of the All-Source RFP. We
22 identified a need for a quick-ramping resource that's
23 dispatchable and flexible as part of the IRP, and that --

24 MEMBER GOLD: How is that weighted, before
25 you go on?

1 MR. EUGENIS: Member Gold, as a part of
2 this analysis part, we don't necessarily weight the
3 projects against -- the different technology types
4 against each other yet. Because it's very difficult to
5 compare technology types that have different attributes
6 to them. And so just like how solar kind of only shines
7 during the day and wind only is available when it blows,
8 it's difficult to say if you were to, outside of our
9 modeling software, compare those two technology types
10 really which one is the best. And, frankly, we need a
11 group and we need a portfolio of those technologies to
12 maintain reliability for our customers.

13 And so when we perform that portfolio
14 analysis, it identifies both solar projects that are
15 necessary to maintain reliability, wind projects that are
16 necessary to maintain reliability, and resources of this
17 type which provide that dispatchability and flexibility.

18 MEMBER GOLD: So what you're saying, if I
19 understand you correctly, and I may not, is you're
20 putting this RFP out in general, not just for this
21 project, but for many future projects, because as I
22 understood yesterday from Mr. Cole, we need specifically
23 a project that can give us power when the sun goes down
24 when people come from home from work, which is what this
25 thing is aimed at. But you weren't just looking at that

1 period, you were looking at a broad -- or a need for,
2 say, a thousand megawatts of power within the next three
3 to 15 years, or whatever, and therefore, you set this out
4 so that you would not have to reinvent the wheel and go
5 looking for other projects who already had people who
6 could acquire them and this one just fit according to
7 your rankings for the specific time period; is that
8 correct?

9 MR. EUGENIS: Member -- Member Gold, that
10 is correct.

11 MEMBER GOLD: Thank you.

12 CHMN STAFFORD: Member Hill?

13 MEMBER HILL: Thank you, Mr. Chair.

14 So for this initial cut, this is the
15 criteria that you've used, can you help me better
16 understand what you mean by, "technology/project risk"
17 and "respondent risk"? Can you characterize that a
18 little bit more? Like is respondent risk their credit
19 score or can you just -- or how you define "project
20 risk"?

21 MR. EUGENIS: Absolutely. Member Hill,
22 thank you for this question.

23 Maybe I can spend a couple of moments on
24 this slide, because I think we got here a little bit
25 prematurely from where I was at in my presentation,

1 but --

2 MEMBER HILL: Thank you.

3 MR. EUGENIS: -- the four categories that
4 you see here are resource alignment, technology and
5 project risk, respondent risk, and cost, being the
6 largest factor. Resource alignment consists of
7 dispatchability, the carbon emissions associated with the
8 project, load factor impacts, and flexibility.

9 The -- the technology or project risk
10 aspect is consistent of site control, the interconnection
11 status, which Member Fontes brought up as part of his
12 question around transmission, as well as any supply chain
13 impacts that may be specific to that project. And you
14 can think that there's many different sources for the
15 different technologies that -- that we utilize, so there
16 can be different supply chains that impact that.

17 MEMBER HILL: And pardon my interruption,
18 but in that project risk, when you say "site control,"
19 does that include permitting processes, or permit -- I
20 mean, do you look at the project and say, "Oh, they might
21 have a hard time getting XYZ permit for that"? Maybe,
22 because we talk about air quality so much, it's Pinal
23 County or Maricopa County air district, I mean, is that
24 part of the site control when you -- in that project risk
25 piece, do you include that?

1 MR. EUGENIS: Member Hill, while we may not
2 explicitly include air permitting as part of site control
3 in terms of, like, if you --

4 MEMBER HILL: Or zoning or, you know,
5 getting -- permits, in general, how does that weigh in?

6 MR. EUGENIS: We absolutely take that into
7 account. And where the respondent is in that process, in
8 terms of do we believe that these projects really are
9 going to come to fruition on the time frame that they say
10 that they're going to come to fruition.

11 MEMBER HILL: So that's the project risk
12 category?

13 MR. EUGENIS: That's correct.

14 MEMBER HILL: Okay. Great.

15 MR. EUGENIS: So an example of that would
16 be if a project has identified some permitting that we
17 have experience in and know takes several years and says
18 that their project is going to be online in two years,
19 obviously there's a huge risk associated with that
20 project if they haven't completed that permitting
21 already.

22 MEMBER HILL: Yeah, that's not a CEC, just
23 so we're clear. We're not on that list, that long list.
24 But go ahead.

25 CHMN STAFFORD: There is no backlog.

1 MR. EUGENIS: Yeah, thank you, Member Hill.

2 BY MR. DERSTINE:

3 Q. Mr. Eugenis?

4 A. (MR. EUGENIS) Mr. Derstine.

5 Q. I realize that, you know, you've got a lot of
6 fast thinkers here on the Committee, and you're getting
7 questions that are tasking you that maybe go more to the
8 portfolio analysis or they're taking you ahead of kind of
9 how you planned to walk us through this. So let me
10 just -- let me add to that and have you back up to maybe
11 slide 82 in your -- that deals with the Integrated
12 Resource Plan.

13 CHMN STAFFORD: Member Fontes, you had a
14 question?

15 MEMBER FONTES: Yes, sir.

16 Yes, sir, it just related back to that
17 previous slide, and I appreciate you going back for the
18 other item, but how do you do the interconnect evaluation
19 when you're the one who grants the interconnect? Is that
20 done by a firewall? And then is respondent risk past
21 performance? And how do you look at that at APS? Are
22 you looking at your past performance on a similar
23 project? It's sort of, like, a self-scoring, so just for
24 the record, how do you separate to score an APS project
25 who might be bidding with other bidders an All-Source?

1 Thank you.

2 MR. EUGENIS: Member Fontes, on your
3 question as it regards to respondent risk, there's three
4 broadcast categories that we evaluate there, which is
5 commercial experience, safety, and financial strength.
6 There are some measurable metrics that we use in those
7 areas, and I can't speak to the exact specifics that we
8 had in the 2023 RFP, but some examples of metrics there
9 could be number of projects and size of projects that
10 they have under development or basically how large their
11 portfolio is. There is some safety data available for
12 these large-scale developers in terms of number of OSHA
13 recordables, their ranking in terms of safety
14 performance. There are some specifics that at the break
15 I can look up to give you more exact information on how
16 we measure safety. But there is some industry data
17 available to us for measuring safety.

18 And then financial strength has to do with
19 their ability to provide letters of credit to satisfy our
20 requirements and making sure that they have the necessary
21 financial backing to go through what these projects all
22 are basically in the hundreds of millions of dollars of
23 development cost.

24 MEMBER FONTES: Just to follow up, and then
25 the interconnect you -- your evaluation came in separate

1 from the folks who actually do the interconnect work,
2 just for the record?

3 MR. EUGENIS: Member Fontes, that's
4 correct. And Mr. Spitzkoff can speak more at length in
5 terms of how the interconnect process takes place at APS,
6 but that is an arm's-length transaction from -- from my
7 group in --

8 MEMBER FONTES: I was focused on the
9 arm's-length, so Mr. Spitzkoff, I got the other piece.

10 Last question, on this particular RFP, were
11 there other gas peaker bidders or were you the only one?

12 MR. EUGENIS: Member Fontes, there were a
13 number of other bids, both at Redhawk itself, as well as
14 broadly that could connect to the APS system. At Redhawk
15 itself, I believe there was two bids that were submitted.

16 MEMBER FONTES: For gas peaker?

17 MR. EUGENIS: Member Fontes, that's
18 correct.

19 MEMBER FONTES: Thank you.

20 CHMN STAFFORD: Quick follow-up on that.
21 So there was the one from APS for this project and
22 another from some other entity that would build a similar
23 project at this site?

24 MR. EUGENIS: Chairman Stafford, I
25 apologize, can you repeat your question, please, sir?

1 CHMN STAFFORD: You said there were two
2 bidders for -- in the RFP for the gas project?

3 MR. EUGENIS: Chairman Stafford, my -- my
4 esteemed colleague here, Mr. Van Allen, corrected me,
5 there were three bids, I apologize.

6 CHMN STAFFORD: So one of which is APS to
7 self-build it, which is what we have here, correct?

8 MR. EUGENIS: There is an ownership
9 option -- or, Chairman Stafford, there was an ownership
10 option that we talk about in terms of an engineer,
11 procure, construct, or EPC. I view that differently than
12 an APS self-build, in that the bidder in this case
13 submitted that information outside of APS itself
14 developing that bid, and then having another member of
15 the APS organization submitting that bid to us or into
16 that process.

17 CHMN STAFFORD: Okay. So the successful
18 bidder for this project, it's an engineer, they're going
19 to engineer design and build it, and then transfer
20 ownership, you call it a turnkey operation, is that what
21 that is?

22 MR. EUGENIS: Chairman Stafford, I've heard
23 that term before, like a turnkey project. I think it
24 applies here. We usually use the term "engineer procure
25 construct." There's a couple of different commercial

1 terms that I think apply here with legal definitions
2 associated with them. That's why I usually use "EPC."

3 CHMN STAFFORD: Okay. And so the three
4 bids were all EPC for this site?

5 MR. EUGENIS: Chairman Stafford, we
6 actually received a PPA bid as well -- and I'm going to
7 pause for one second -- there was several PPA bids --

8 CHMN STAFFORD: Okay.

9 MR. EUGENIS: -- that were received and
10 then this EPC bid that we're discussing here today.

11 CHMN STAFFORD: And the PPA bids were to
12 build at the same site, at the Redhawk site?

13 MR. EUGENIS: Chairman Stafford, that's
14 correct.

15 CHMN STAFFORD: Okay. All right. I wanted
16 to just get a clear picture of what we were talking about
17 in terms of the bids. Thank you.

18 Member Fontes, did you have another
19 question, I see your hand's still up?

20 MEMBER FONTES: Yes, sir. Just a
21 clarification, because I think the word "EPC" has a
22 different definition for the way we've seen it in other
23 hearings. EPC is associated with more of the
24 construction aspect. Design-build transfer is when it's
25 designed, built, and transferred either by a utility or

1 an entity that develops and constructs and then transfers
2 the asset. So for the sake of consistency, Mr. Chairman,
3 I think we should be using "design-build transfer" here,
4 and not "EPC" as the applicant suggested.

5 MR. EUGENIS: Member Fontes, I will -- I
6 acknowledge that there is a number of different terms
7 that are available in this space. You've probably also
8 heard "build transfer agreements" or BTA. There's also
9 "build own transfer," which is a BOT agreement, and
10 all --

11 MEMBER FONTES: Those are more common for
12 ownership in terms of the equity and the rate basing, so
13 I would tend to suggest we use those, because the EPC is
14 more on the construction. A PPA could have an EPC as
15 well. Again, we're doing multiple hearings here just for
16 the sake of consistency, prefer to use the "design-build
17 transfer" in this case.

18 MR. DERSTINE: Yeah, I guess, Member
19 Fontes, the --

20 MEMBER FONTES: Appreciate it.

21 MR. DERSTINE: And I don't want to get
22 mixed up in the terminology, because I'm way out of my
23 depth, but I think the reality is, is that APS owns this
24 site --

25 MEMBER FONTES: Yup.

1 MR. DERSTINE: -- so as I understand it,
2 the negotiations with the successful bidder for the
3 construction of Redhawk is an EPC contractor, and those
4 negotiations are ongoing. And the members of my panel
5 can correct me if I'm wrong.

6 MEMBER FONTES: It's a self-built asset,
7 though?

8 CHMN STAFFORD: I think not technically
9 because the successful bidder will design, construct, and
10 then at that point ownership will transfer to the
11 utility. It's not like APS is going to design it and
12 build it itself, correct, it's hired someone else to do
13 it?

14 MR. EUGENIS: Chairman Stafford, that's
15 correct.

16 MEMBER FONTES: But is it recorded as CWIP,
17 construction work in progress, as a part of the rate base
18 because that means it's owned from the development, the
19 design and permitting, so that would be a design-build
20 technically.

21 CHMN STAFFORD: Well, I guess that means --
22 I guess that depends on who's -- who's writing the
23 checks, right? I mean, if APS is writing the checks for
24 the construction as it's done, as opposed to cutting the
25 check to purchase the asset when it's done. Is that kind

1 the distinction you're trying to make?

2 MEMBER FONTES: Yes, sir, I think that's
3 important here.

4 CHMN STAFFORD: And, I guess, you know,
5 depending on the answer to that question, I guess, the
6 follow-up would be is this asset eligible to be included
7 in a new adjuster? I can't recall the acronym off the
8 top of my head, it was --

9 MR. DERSTINE: SRB.

10 CHMN STAFFORD: SRB, there you go.

11 MR. DERSTINE: I don't have any members of
12 this panel who are, I think, able to speak to, one, how
13 this would be treated in rates, whether or not it's going
14 to be included in the SRB. I think that's a decision, I
15 think the view is this would be an eligible asset. But
16 how those things fall out in a rate case and the
17 regulatory decisions around that remain to be made.

18 CHMN STAFFORD: Okay. So I guess is there
19 going to be a witness that would be able to answer some
20 of those questions? I mean, we've only got the first
21 three up here, you've got five more on the docket here,
22 so --

23 MR. DERSTINE: I don't have any rate
24 experts lined up, but we can dig into the question and
25 see if we can get you a different -- a more detailed

1 answer.

2 CHMN STAFFORD: Okay. Yeah, because I'm
3 just --

4 MEMBER FONTES: And, just for context, we
5 had a merchant plant that isn't eligible for CWIP and
6 rate base, and it was -- they were using EPC contract, so
7 I think for the public and for the record we just need to
8 be a little more precise on that, just so we're
9 consistent between case to case.

10 I appreciate you. Thank you.

11 MR. DERSTINE: Thank you, Member Fontes.

12 CHMN STAFFORD: Yeah, because I think you
13 were interested in how the -- how it's going to --
14 eventually since APS owns it, it will end up in rate
15 base. And I think we're just kind of curious and the
16 Commission might be curious to find out what APS
17 anticipates the timing of that being. You know, are they
18 trying to put it in there before it's fully online, or is
19 it going to wait until it's operational and then it would
20 be included in the SRB after APS actually takes ownership
21 of it? I think those are just kind of --

22 MEMBER FONTES: And I -- Mr. Chairman, and
23 I think it's important because you made a self-build
24 determination here. You have an IRP process, and
25 arguably, a public policy reason to put this asset for

1 systems reliability, whereas, the peaker plant case that
2 we just saw proposed that, but I'm still not convinced
3 that that -- that asset has the same, if you will,
4 rationale and justification that you need. So I'm trying
5 to capture that here.

6 MR. DERSTINE: Understood. We'll see if we
7 can get you some more detail on that.

8 CHMN STAFFORD: Thank you.

9 MR. DERSTINE: I guess assuming with the
10 understanding that, again, you know, rate decisions and
11 how this would fold into rates and rate impacts are not
12 something I can -- I have the witnesses for and, frankly,
13 I'm not sure are part of the scope of the Committee, but
14 we're happy to answer your questions as best we can.

15 CHMN STAFFORD: I'm sure -- I'm sure the
16 Commission is going to be interested in those issues
17 anyways, so it seems like to get in front of it and have
18 those answers ready before you get to the Commission,
19 because until they approve it, it's a -- it's still in
20 the wind.

21 MR. DERSTINE: I hear what you're saying,
22 and I think you're probably right.

23 CHMN STAFFORD: Thank you.

24 MR. DERSTINE: Yup.

25 Q. I took you back, and I apologize for that, you

1 were hoping to move forward. But Member Gold had a
2 question about did this All-Source RFP specifically ask
3 for this kind of peaking capacity that Redhawk
4 represents, the expansion project. So I wanted you to
5 maybe go back to this and I think the answer is the
6 All-Source RFP, as you said, asked for proposals to
7 satisfy a number of asset needs that were identified in
8 the Integrated Resource Plan; is that right?

9 A. (MR. EUGENIS) That's correct.

10 Q. Okay. So what you're looking at on slide 82 are
11 the resources that were identified in the 2023 IRP that
12 you went out through the All-Source RFP to satisfy and to
13 get bids for?

14 A. (MR. EUGENIS) That's correct.

15 Q. Okay. And so included in that would be the
16 fast-ramping peaking capacity that the Redhawk Expansion
17 Project represents, but you also sought bids for solar,
18 wind, storage, et cetera?

19 A. (MR. EUGENIS) That's correct.

20 Q. Okay.

21 MEMBER GOLD: Mr. Chairman?

22 CHMN STAFFORD: Yes, Member Gold.

23 MEMBER GOLD: Thank you to Mr. Derstine.

24 MR. DERSTINE: Derstine.

25 You can say Derstine.

1 MEMBER GOLD: No, no, I'll get it the right
2 way. Derstine?

3 MR. DERSTINE: Yeah, that's how I say it.
4 I'm not sure I'm right, but I think --

5 MEMBER GOLD: Well, we'll just assume it's
6 correct at the moment.

7 MR. DERSTINE: Okay. All right.

8 MEMBER GOLD: Mr. Derstine, thank you for
9 clarifying that.

10 MR. DERSTINE: Sure.

11 MEMBER GOLD: So that means that we're --
12 we put this report out looking for everything for present
13 use and future use, and we're focused on right now what
14 we needed primarily which was energy efficiency, which
15 the Redhawk Plant seems to accommodate most efficiently
16 and most financially acceptable; is that correct?

17 MR. DERSTINE: I think it falls into that
18 gray bucket of natural gas.

19 MEMBER GOLD: That's what I was looking at.

20 MR. DERSTINE: Yeah.

21 MEMBER GOLD: In that case, thank you for
22 clarifying that.

23 CHMN STAFFORD: Member Hill.

24 MEMBER HILL: I had a question about this
25 slide. And I missed yesterday, so I hope my question is

1 still novel. I missed a chunk of yesterday. How does --
2 can you give me an example of demand response in your
3 evaluation in the RFP process? How -- is there a
4 resource that -- I know what demand response is, but I'm
5 just kind of --

6 MR. EUGENIS: Member Hill, this is a great
7 question, because, I mean --

8 MEMBER HILL: I've gotten two great
9 questions, for the record. I just want you to note that.

10 CHMN STAFFORD: So you're talking about an
11 example of what a bidder would be for a demand response,
12 what it would look like?

13 MEMBER HILL: Yeah.

14 MR. EUGENIS: So I'd like to start first,
15 and I know you know this already, but a demand response
16 product is something where you can shift load from one
17 period of time to another period of time or eliminate
18 your load altogether. And so APS has a number of
19 examples of demand response products out there, some that
20 you may be familiar with is our Cool Rewards Program,
21 which is our thermostat program, and it sounds like
22 Member Hill may be a participant in that. We appreciate
23 that. It's a valuable program for us. And that allows
24 us, right, to send a signal to customers or to
25 participants. They reduce their demand for a period of

1 time, and then once those system needs kind of are
2 alleviated, then we allow you to kind of turn your
3 thermostat back down, that increases your load, but at a
4 lower cost time for us as the utility, which benefits all
5 ratepayers.

6 Your question on what a bid would look like
7 for that is, there's a number of different aggregators
8 that exist in the industry that basically group customers
9 or will interface with customers or participants in these
10 demand response programs, and then offer them as a
11 package to the utility, and then manage some of the
12 specifics in terms of customer acquisition or enrolling
13 them, customer enrollment in those programs, and the
14 actual communication to them in terms of sending a signal
15 for them to reduce their load.

16 MEMBER HILL: I love this. Thank you for
17 that. I feel like at the end of the day, you know, there
18 are two pieces to this reliability, it's, you know,
19 providing the resources, but also the demand response
20 side of it is just curbing how much we use, so that we
21 don't have to build so much and it doesn't cost so much
22 to everybody. So I love this and I didn't know it
23 existed, so thank you.

24 CHMN STAFFORD: Do you have any bids that
25 are more like a large industrial or commercial customer

1 that can shave load at certain peak times, like when you
2 get to, say, 4:00, and you send them a signal, they can
3 shed 50 megawatts, 20 megawatts a load for a certain
4 duration and then resume operations back when they get
5 the all-clear from you guys?

6 MR. EUGENIS: Chairman Stafford, that's
7 correct. So we have a number of those types of customers
8 that have the ability to either change their operations
9 or reduce their load for a period of time. And for
10 commercial and industrial oftentimes you don't have the
11 shifting aspect of it, so much as you just have an
12 overall reduction.

13 CHMN STAFFORD: And what types of customers
14 are the biggest participants in your demand response
15 program, like, what type of industry is it, it's grocery
16 stores, is it manufacturers, is it -- what kind of
17 businesses are we talking about that can take a -- tone
18 it down in the hot afternoons for you?

19 MR. EUGENIS: Chairman Stafford, in
20 general, I don't want to kind of go through the specifics
21 or name specific customers, but in general, you can see
22 some manufacturing facilities have the ability to
23 schedule their shifts around this. And so they may not
24 schedule for that period of time and halt their operation
25 for their manufacturing during that time, and then

1 instead schedule their workers other times or just remove
2 the shift over -- altogether.

3 CHMN STAFFORD: Okay. So they're getting
4 sort of a -- they're planning ahead to shave load, it's
5 not the Cool Rewards where they get a signal and the
6 thermostat goes down? I think -- because Cool Rewards do
7 it automatically and they have the option to opt out?

8 MR. EUGENIS: That's correct.

9 CHMN STAFFORD: Okay. So these guys are
10 planning ahead, like, look, we know these are going to be
11 big days for you guys generationwise, so we're going to
12 shave our load during these times to alleviate some of
13 that stress, then?

14 MR. EUGENIS: Chairman Stafford, typically
15 we give them, I think it's day-ahead notice. And so
16 system conditions are very dynamic, and it's not just
17 when APS may have higher loads, as Mr. Cole said in his
18 testimony yesterday, it's really dependent on the region
19 as well. And so if you see a region-wide heat wave or
20 resource constriction that's happening in California or
21 throughout the West, that could also drive that need.
22 And so we value that flexibility from our customers as
23 well to be able to respond with a day's notice.

24 CHMN STAFFORD: That's what happened in
25 2020, wasn't it?

1 MR. EUGENIS: That's correct, sir.

2 CHMN STAFFORD: I think that was it for
3 my -- oh, Member Fontes, do you have another question?

4 MEMBER FONTES: Yes. Its a question
5 related to one of yours, Mr. Chairman.

6 When this thing's actually built and we
7 compare it to PPA awards, on PPA awards that I've seen
8 from APS, you often have cost controls. How do you
9 implement that for a design-build when you're in charge
10 of the costs, and it's going to be rate-based, is there
11 similar cost controls to that of a PPA award for another
12 PP in terms of preventing overruns or penalties for both
13 development and construction?

14 MR. EUGENIS: Member Fontes, as part of the
15 bid they do offer us a price, and there are commercial
16 terms that apply to that price, which means that there's
17 a damage structure that holds them to particular
18 performance metrics to make sure that that resource comes
19 online. And, ultimately, they're responsible for
20 maintaining the prices they give us or being forced to
21 renegotiate with us for the potential project.

22 MEMBER FONTES: And that includes them --
23 them being the -- who is "them" in this case, the APS
24 team who is overseeing the construction of this for the
25 EPC?

1 MR. EUGENIS: In this case, Member Fontes,
2 that would be the EPC bidder itself. And, I apologize, I
3 know we had some discussion on that term, but in this
4 case the bidder is responsible for that, which is not
5 APS.

6 MEMBER FONTES: So that's before it
7 actually transfers to you that they have controls
8 embedded in them?

9 MR. EUGENIS: Member Fontes, that's
10 correct.

11 MEMBER FONTES: Excellent. Thank you.

12 CHMN STAFFORD: I think we were on slide
13 82.

14 MR. EUGENIS: Mr. Derstine, will you give
15 me a prompt?

16 BY MR. DERSTINE:

17 Q. I took you back to slide 82, let's get you back
18 on track. Do you want to take us forward to where you
19 were hoping to be? I don't know if that was on analysis.
20 You may have gotten pushed into analysis a little bit
21 quicker than you had wanted to. But if that's the place
22 to start or if you wanted to still cover some of your --
23 I think the prior one was bid compliance?

24 A. (MR. EUGENIS) Thank you. I think we've done a
25 good job at this point of kind of covering both the --

1 Member Hill?

2 MEMBER HILL: One more question on
3 analysis. I know Mr. Kryder is going to tell me that I
4 need to speak closer to the mic, so -- forgive me, sir.

5 The project risk, why is technology there?
6 You -- the project risk list that you gave us did not
7 include necessarily a technology statement. I guess I
8 thought technology would be in resource alignment, but
9 under project risk, what's the technology risk you're
10 addressing there?

11 MR. EUGENIS: Member Hill, that's primarily
12 the supply chain associated with the technology, just
13 because different technologies have different risks
14 there, if you think about where things are manufactured.

15 MEMBER HILL: I just didn't want to imply
16 that technology was generation technology that you were
17 concerned about risk, necessarily.

18 MR. EUGENIS: And, Member Hill, there's an
19 aspect of that. It's not -- it's not explicit in terms
20 of we calculate a number associated with it. But it's
21 our responsibility to maintain reliability for our
22 customers, which means we're not going to contract with a
23 technology type that we ultimately don't believe will
24 come to fruition or won't perform to the really high
25 standards that we have.

1 MEMBER HILL: Okay. And that's in that
2 section. Okay. Thank you.

3 MR. EUGENIS: Okay. So I'm going -- I
4 might summarize for a second to get me back on track
5 here. Within the -- so we started our discussion
6 yesterday in the Integrated Resource Plan, we talked
7 about the needs that it's identified, it using generic
8 pricing. Now we've used that to inform the All-Source
9 RFP. We have the compliance stage of the All-Source RFP,
10 where we just look to see if those bids meet the
11 requirements of the All-Source RFP the time that we would
12 like to have those projects in service, completeness of
13 information.

14 Moving past that we get to this analysis
15 phase where we talked about the resource alignment, the
16 technology and project risk, the respondent risk, but
17 mostly cost being the determining factor for when we make
18 these evaluations. I'm going to push us to the next part
19 of this process, which is the short-listing process.

20 I used an analogy earlier when Member
21 Fontes had asked me a question about having a row of Ford
22 F-150s standing in front of you and making a
23 determination about which of those you might want to
24 pursue in the future, I think that's apt for describing
25 what we're doing as we go through and we short list

1 different projects.

2 If you recall in the slide that I was
3 previously on that showed the needs from the IRP, there's
4 different needs that have been identified and different
5 projects meet those needs. And when we go through the
6 short list, we essentially line up those different
7 projects within their technology categories, we make sure
8 to pick the ones that bring the best benefit or the most
9 benefit to our customers, largely weighted by cost in
10 that calculation. And you can see the results of that
11 process on the right-hand side screen. I have two charts
12 here that I'd like to spend a couple of moments walking
13 through. On the left-hand side you can see the number of
14 projects that we short listed for these categories, with
15 the vast majority coming from solar and storage paired
16 together and energy storage projects that are stand-alone
17 energy storage. This matches with that slide, I believe
18 it was number 82 that we were on previously, that showed
19 that we had a tremendous need for both solar and
20 batteries on our system.

21 We also short listed wind projects to
22 satisfy the need identified in the IRP, and what we
23 anticipate will be necessary in the system, as well as
24 demand response and then thermal projects. The Redhawk
25 Expansion Project that we're talking about today falls

1 into this category of thermal projects. On the
2 right-hand side chart, you can now see the total number
3 of megawatts associated with these and you can see it
4 largely matches the left-hand side. The vast majority of
5 total capacity or the nameplates megawatts of these
6 technologies is from that solar and storage category, as
7 well as the energy storage category.

8 I'm just going to briefly call out that
9 demand response ended up being a very small portion of
10 this RFP, in terms of the magnitude of the bid, and you
11 recall that we were seeking, you know, approximately a
12 thousand megawatts of on-peak capacity. And then you
13 have our thermal resources here, which is a larger amount
14 of nameplate capacity.

15 So this broadly, I think, aligns with the
16 needs that were identified in the IRP and allows us to
17 take the most valuable bids now and push it forward to
18 the next part of our evaluation, which is the portfolio
19 analysis. Taking us back to my testimony yesterday, this
20 is the same tool that we used in the IRP. It solves for
21 a particular reliability level a least-cost portfolio.

22 So we know that as we input this
23 project-specific information into that tool, we are going
24 to have reliability maintained in the future, and at the
25 cheapest overall cost to our customers. That portfolio

1 analysis is very detailed in its nature. And the key
2 difference at this stage is that we're using the specific
3 pricing from the bids we received instead of the generic
4 pricing that we had available to us in the IRP.

5 This is the stage of the process where all
6 of the different technology types compete against each
7 other. All of the bids compete against each other in the
8 portfolio analysis. And so even though the previous
9 stage -- I isolated our comparison to like resource
10 types, you know, all the F-150s were compared to other
11 F-150s; if you had cars, right, all the cars were
12 compared to other cars -- at this stage the trucks and
13 the cars compete against each other to solve for that
14 optimal portfolio.

15 That process goes through our -- our
16 portfolio analysis, and I have what is the most
17 complicated process diagram I'm sure many of you have
18 seen, and for that I apologize, but hopefully we can
19 spend some time walking through this and make some sense
20 out of all of the different inputs and work that we're
21 doing. And, I apologize, I wish that I had covered this
22 yesterday as part of the Integrated Resource Plan
23 process; however, this is the same overall process that
24 we do in the IRP. The only difference being that the
25 technology cost aspect of it, which you can see on the

1 left-hand side, is generic versus in the IRP we're using
2 those specific bids. You can see that inputs into this
3 process vary from fuel costs to market pricing to
4 technology costs that we discussed, as well as unit
5 characteristics and other constraints as well.

6 Yesterday I talked about how we varied the
7 price of natural gas fuel in the future. That's one of
8 those -- one of the aspects of this that can change that
9 ultimately solves for that least-cost portfolio. We use
10 very similar assumptions as the IRP whenever we do this
11 process for the RFP just with those updated bids. From
12 the -- the kind of inputs are fed into our long-term
13 capacity expansion modeling, that solves for that
14 least-cost portfolio, ultimately we build that into what
15 we call a loads and resources plan, or a L&R, and that
16 informs our procurement and demonstrates that we
17 maintained reliability for our customers.

18 CHMN STAFFORD: Member Fontes, you have a
19 question?

20 MEMBER FONTES: Thank you, Mr. Chairman.

21 Hey, can you just touch upon how you
22 compare, like, a battery energy storage or renewable that
23 has no fuel cost to that of a peaker plant that does.
24 And then financials, are you using the weighted average
25 cost of capital of the bidder or is that some sort of

1 other input? Where does the financials input come from
2 and the fuel costs? Appreciate you, thanks.

3 MR. EUGENIS: Member Fontes, as a part of
4 this, we include both the capital costs of the project,
5 as well as any variable O&M cost or fixed O&M cost. The
6 O&M being operations and maintenance cost. So it's a
7 fulsome look at whatever expenses may be incurred on
8 behalf of customers for a particular resource.

9 And so this is where the playing field is
10 level in terms of if I have a resource that may have high
11 capital costs, such as a renewable facility, whether
12 that's a solar or wind facility, but ultimately very low
13 variable O&M costs to no variable O&M costs, I'm looking
14 at this holistically when I compare it against something
15 that may have lower capital costs, but higher variable
16 O&M costs.

17 So the modeling tool has all of those
18 pieces available to it and optimizes for that least-cost
19 function among the total result. We use the term
20 "revenue requirements" often in our business, which is
21 representative of the total cost to customers for, you
22 know, a particular portfolio of resources. This
23 long-term capacity expansion model estimates,
24 essentially, those revenue requirements when making the
25 portfolio.

1 CHMN STAFFORD: So to look at how it's
2 going to affect rates then, correct?

3 MR. EUGENIS: Chairman Stafford, the end
4 result is an impact to rates. In resource planning, I
5 don't do any kind of rate-specific analysis since the
6 Commission, and we have a rates team, kind of determine
7 what that is.

8 CHMN STAFFORD: But this provides a number
9 for them to analyze and see to take -- if you look at the
10 total revenue requirement, this is how much money is
11 going to have to come in to make this plant go, and then
12 they -- you hand it off to the rates team and they figure
13 out what they need to collect through rates to cover
14 that, then, correct?

15 MR. EUGENIS: Chairman Stafford, yes.

16 CHMN STAFFORD: Okay. That's what I
17 thought, but I just wanted to make sure. And then I
18 have -- and then where do you -- where do emissions
19 figure into this analysis?

20 MR. EUGENIS: The long term -- Chairman
21 Stafford, the long-term capacity tool, and in our
22 production cost modeling, in general, takes into account
23 any emissions associated with those facilities. And it
24 takes into account constraints that may be relative to
25 those facilities.

1 For example, in our CEC that we're
2 requesting today, we have a capacity factor limitation.
3 That's part of our air permitting process. And we
4 include that in our modeling software to say this unit
5 can't run beyond what it's permitted to run for. And so
6 we are able to take into account unit operation as part
7 of our optimization.

8 CHMN STAFFORD: Okay. And then -- and then
9 beyond that, the APS has its goal of being, I think,
10 reduce your emissions -- your carbon emissions by
11 60 percent by 2032?

12 MR. EUGENIS: Chairman Stafford, our clean
13 energy commitment is focused on 2030, and is 65 percent
14 clean resources with 45 percent coming from renewable
15 sources in 2030.

16 CHMN STAFFORD: So that's a -- you're
17 looking at energy production, not total emissions, then,
18 for that?

19 MR. EUGENIS: That's correct. The clean
20 energy aspect of it comes from our portfolio mix of
21 energy, includes things like demand-side technology that
22 Member Hill identified earlier, and then the renewable
23 energy piece of it is similar to the Commission
24 requirement around the RES, Renewable Energy Standard,
25 but not exactly the same. So there is some specifics to

1 both of those calculations.

2 CHMN STAFFORD: And so you have built into
3 the model, then, is it your plan to get to zero carbon
4 emissions by 2050?

5 MR. EUGENIS: When we do our modeling, we
6 don't explicitly include the zero carbon by 2050 goal.
7 We check against the results to see that it aligns with
8 both that 2030 goal, and then as we think about the
9 future, we want to make sure that we're investing in
10 technologies that have the ability to meet that no carbon
11 goal of 2050.

12 We know that today's technologies don't
13 have that ability, and Mr. Cole testified about that
14 yesterday. We anticipate that there will be innovation
15 in this space, and we look forward to taking advantage of
16 that innovation when it becomes available. That may be
17 hydrogen. It may be a different technology into the
18 future. But we don't explicitly include, like, a zero
19 requirement as part of our current modeling.

20 CHMN STAFFORD: But I'm just -- yeah,
21 because that's kind of far out there. I'm just trying to
22 get to -- there's -- through this process you have an eye
23 on the ball when it comes to your carbon emissions that
24 you're -- that you're -- as part of selecting your
25 resources you're going to build or procure or buy power

1 from. It's -- it's -- I think it was -- was it Hutchens,
2 I think when he was at TEP, he had the phrase that you're
3 on the path to decarbonation within the -- to give you
4 the guardrails of affordability and reliability. But
5 it's the always moving forward to reducing the carbon
6 dioxide output, the greenhouses gases, but you can't --
7 you have to keep it in the realm of cost and service. I
8 want to make sure that this model is helping you chart
9 that path in that direction.

10 MR. EUGENIS: Chairman Stafford, that's
11 absolutely correct that we look at our resource
12 procurements and make sure that they're in alignment with
13 our goals. We see that the renewable resources that
14 we're procuring today are least cost. They're sources of
15 affordable energy for our customers. We want to make
16 sure to capture that value for our customers as well, and
17 look forward to the future in terms of the innovation
18 that will be available to further decarbonize the system
19 and maintain reliability for our customers.

20 CHMN STAFFORD: All right. Thank you.

21 I see Member Little has her hand up.
22 Member Fontes, did you have additional questions, because
23 you -- your hand's up, I'm not sure if it went down and
24 came back up or it's just up from before?

25 MEMBER FONTES: It came back up based on

1 your question, Mr. Chairman. And I just want to make
2 sure that we capture for the record here, Mr. Eugenis.
3 Can you point to where the investor tax credit,
4 production tax credit when you're evaluating the
5 renewables would be, and what component. I think it's
6 part of the financials as it comes in and that's
7 presented to you that should be in there, but, please, in
8 your own words tell us where that is factored in,
9 especially because APS benefits from those in some cases.
10 I know we selected a peaker plant here, but I'm looking
11 just to understand how the model works, for the record.

12 MR. EUGENIS: Member Fontes, there's a
13 couple of different ways that you can treat those tax
14 credits. In particular, the production tax credit, or
15 PTC, that's associated with several renewable resources,
16 you can treat that as a negative variable O&M associated
17 with the resource.

18 For some of our PPA bids, that's captured
19 in the price that they give APS, and so the bidder
20 themselves is recognizing that they're going to receive
21 that tax credit and then passing along some amount of
22 those savings to APS and our customers as well. Those
23 are the two primary sources of where you would see that
24 information located as we do our evaluation, both
25 captured in the portfolio analysis.

1 MEMBER FONTES: I really appreciate that,
2 thank you.

3 That's it, Mr. Chairman.

4 CHMN STAFFORD: Thank you.

5 Member Little.

6 MEMBER LITTLE: Mr. Chairman, I have a
7 couple of questions about the modeling process. First of
8 all, do you use all different combinations of the RFP
9 respondents? For example, do you combine solar one with
10 all the different combinations of the rest of them on the
11 different types of resources; and then solar two with all
12 the different combinations of the rest of the resources
13 in your modeling process?

14 MR. EUGENIS: Member Little, any discussion
15 about the depths of modeling is something that makes me
16 very excited. You can -- you can, I'm sure, quickly
17 understand that doing a comparison one by one with the
18 number of bids that we received and the number of
19 short-listed projects available to us can be incredibly
20 cumbersome. And that's what the benefit of these tools
21 really brings us, and the fact that by kind of harnessing
22 their ability to do an incredible amount of number
23 crunching, that allows us to find that best portfolio
24 without us having to do kind of a by hand or more
25 shorthand or heuristic-based evaluation on my team. And

1 so those tools I find to be very powerful in terms of
2 identifying value for our customers.

3 MEMBER LITTLE: Thank you. As an old --
4 old-time utility planner, it's all these new tools are
5 exciting to me too.

6 How long does it take to do that, weeks,
7 months.

8 MR. EUGENIS: Member Little, I appreciate
9 you indulging me maybe a little bit with this line of
10 questioning. The amount -- so the complexity of the
11 power system is increasing drastically. And the number
12 of variable resources that we're now incorporating is
13 driving challenges that we haven't seen in the past. And
14 that's why it's so important to use these tools. And the
15 modeling time frames that we've seen in some of these
16 cases are well over 12, 15, sometimes 18 hours, using
17 incredibly high-powered computers. I jokingly refer to
18 them as flame-breathing computers, not a technical term,
19 but these are essentially servers with quite a bit of
20 memory and computing power.

21 MEMBER FONTES: You made your own LM6000
22 for some of these computers, I would imagine.

23 MEMBER LITTLE: And my second question is,
24 or my third question, I guess, I don't remember reading,
25 and maybe I just missed it, but what is the capacity

1 factor that this -- that your proposed project is limited
2 to?

3 MR. EUGENIS: Member Little, these units
4 are going to be limited to less than 20 percent capacity
5 factor.

6 MEMBER LITTLE: Thank you.

7 CHMN STAFFORD: And that limitation's
8 imposed by the air permit, correct?

9 MR. EUGENIS: That is correct and
10 Ms. Carlton will speak to that in more depth in her
11 testimony.

12 CHMN STAFFORD: Okay. Good. So I won't
13 ask you any more questions about the air permit.

14 BY MR. DERSTINE:

15 Q. I was just following up on Member Little's
16 question, Mr. Eugenis, in terms of she asked about how,
17 say, solar maybe is compared to solar, but maybe how
18 solar as a resource and bids for solar are compared to,
19 say, maybe this project, the Redhawk project, or maybe
20 you have a better example, in terms of how this
21 complicated fire-breathing computer model is used to
22 compare those resources.

23 Can you give us a little more detail on that?

24 A. (MR. EUGENIS) Mr. Derstine, the long-term
25 capacity expansion tool is -- excuse me, I'm trying to do

1 this at an appropriate level for our audience here
2 today -- it's what's called a mixed integer optimization
3 tool, which doesn't mean a lot to, I would say, almost
4 everybody, but it utilizes a solution process that
5 essentially searches for the best answer, given a
6 particular starting point in the case, and then evaluates
7 all of the options available to it in testing for what is
8 the best overall answer.

9 These are -- as I'm sure many can appreciate --
10 these are incredibly data-intensive problems. I've
11 talked about how we solve for every single hour of the
12 year, that's 8,760 hours per year. And we do it over a
13 15-year time period in the IRP. And so there's a
14 tremendous amount of computing and data checking that
15 takes place within these models in determining what that
16 portfolio is. Hopefully that provides some depth without
17 getting into linear algebra.

18 BY MR. DERSTINE:

19 Q. I appreciate it, and please don't go into linear
20 algebra.

21 For cases like this, one of the things that we
22 talk about that's related to the need analysis is, did
23 you consider alternatives to the project that's being
24 proposed? And I think what I've heard you say, but I'd
25 like you to dig into it a little deeper, is it sounds

1 like through the portfolio analysis, the modeling that's
2 shown on slide 101, you did compare the Redhawk Expansion
3 Project to other projects and other resources, like
4 battery energy storage; am I -- am I right about that?

5 A. (MR. EUGENIS) That's correct.

6 Q. Okay. And can you give a little more color
7 around how that happened to the model, specifically with
8 regard to, say, Redhawk and battery storage resource?

9 A. (MR. EUGENIS) Yes.

10 So essentially what the model does is it has
11 that list, that short-listed bids available to it. And
12 it looks at all of those bids, and when maintaining
13 reliability for the system, right, as we talked about
14 over the entire year, if I have the Redhawk project and
15 then I solve for all of my other resource needs, what is
16 the overall cost to my customers? And then if I don't
17 have the Redhawk project and I still have the same bids
18 available to me and I have to backfill it with other
19 resource types, whether that's battery energy storage by
20 itself or a mixture of solar and storage or, you know,
21 batteries and wind resources, et cetera, which is the
22 cheapest portfolio.

23 And what we found in our analysis is that the
24 inclusion of the Redhawk project has resulted in that
25 least-cost portfolio, when compared to other portfolios

1 that would have a different blend of resources.

2 Q. Is that the point that you're making here when
3 I'm looking at the -- at what you have written on slide
4 102?

5 A. (MR. EUGENIS) That's correct.

6 MEMBER GOLD: Mr. Chairman?

7 CHMN STAFFORD: Yes, Member Gold.

8 MEMBER GOLD: To -- Mr. Derstine, to
9 simplify this, for somebody who is obviously not as adept
10 at this as you are, if you were to simply put up a chart,
11 I mean, your computer comes out with this is weighted
12 one, this is weighted two, this is weighted three, or
13 this is dollar one, dollar two, dollar three, your
14 computer is going to spit out a hierarchy, and you said
15 the hierarchy with the Redhawk project and the hierarchy
16 without the Redhawk project, correct, in layman's terms?

17 MR. EUGENIS: Member Gold, that's correct.

18 MEMBER GOLD: So it turns out that if you
19 put the Redhawk project in, it has a much better result
20 financially or fiscally, productionwise, it answers more
21 questions by a certain factor than anything else that you
22 looked at and you looked at a whole gamut of things, and
23 the things that you had in that computer is that chart on
24 the left, of which you have several terms up there I'm
25 not familiar with. What is SRVM, ELCC, and L&R?

1 MR. EUGENIS: Member Gold, the answer to
2 your first question I believe is yes, that there is
3 benefits associated with having the Redhawk project
4 outside of a portfolio that does not have the Redhawk
5 project. Your question around the other aspects of this
6 process diagram, such as SRVM, which is S-E-R-V-M [sic],
7 and ELCC, which is the effective load carrying capability
8 of a resource.

9 MEMBER GOLD: Well, let's go back to SRVM.
10 S-R-V-M, I can read also, what does it mean?

11 MR. EUGENIS: It's a -- Member Gold, it's a
12 proprietary software that's maintained by the Estrape
13 Consulting Group, what it does is --

14 MEMBER GOLD: Okay. So that's the program
15 used, okay, got it. ELCC again?

16 MR. EUGENIS: Effective load carrying
17 capability.

18 MEMBER GOLD: Okay. And L&R?

19 MR. EUGENIS: L&R is a load and resources
20 document.

21 MEMBER GOLD: Okay. So all of that stuff
22 came with a portfolio output analytics, which gave you a
23 score for Redhawk. How much more efficient, in terms of
24 dollars was the Redhawk -- to accomplish the goals that
25 you put in there -- was Redhawk than its nearest

1 competitors -- competitor or competitors?

2 MR. EUGENIS: Member Gold, I'd have to go
3 get that information for you.

4 MEMBER GOLD: Just ballpark, if you
5 remember offhand, is it very much better or a little
6 better?

7 MR. EUGENIS: Member Gold, it drives
8 significant value for our customers. I'd have to get you
9 an exact value. And when we perform this analysis, it
10 doesn't always kind of give you that, like, what is the
11 next and the next and the next that's available, it's
12 solving for the best one. And so by having it included
13 in the portfolio, I know that this is a part of the best
14 portfolio for our customers.

15 MEMBER GOLD: So this is the best one which
16 you're recollecting is a significantly best one compared
17 to anything else?

18 MR. EUGENIS: That's correct, Member Gold.

19 MEMBER GOLD: Thank you. That's what I
20 needed to know.

21 CHMN STAFFORD: Thank you. We are -- we
22 have been going for approximately 90 minutes. I know the
23 court reporter can use a break. So before we go to
24 recess, Mr. Derstine, it looks like you have something to
25 ask?

1 MR. DERSTINE: Well, I think, Mr. Eugenis,
2 am I right or wrong that you are ready to wrap up your
3 testimony and if you -- if you're not ready and we don't
4 have a -- just a short piece then we're going to take a
5 break, but if you want to put a nail in it.

6 CHMN STAFFORD: I have a couple more
7 questions for him, so --

8 MR. DERSTINE: Oh, you do? Well, then,
9 we're going to take a break. Thank you, Mr. Chairman.

10 CHMN STAFFORD: Okay. Let's take a 10- to
11 15-minute recess.

12 We are in recess.

13 (Recessed from 10:32 a.m. until 10:53 a.m.)

14 CHMN STAFFORD: Let's go back on the
15 record.

16 Mr. Eugenis, I had a couple of quick
17 follow-up questions for you. For the RFP that -- that
18 the -- that this project was a winning bidder on, how
19 many other projects were selected as part of that RFP?

20 MR. EUGENIS: Chairman Stafford, we're
21 still in negotiations with projects for that, so I don't
22 have a final count for you yet. We have contracted with
23 a number of bidders. I don't have an up-to-date number,
24 but I could get you what we've contracted for thus far if
25 you're interested.

1 CHMN STAFFORD: Yes, please, thank you.

2 Mr. Derstine.

3 BY MR. DERSTINE:

4 Q. Mr. Eugenis, do you want to -- I think you've
5 taken us to the end of your discussion on the All-Source
6 RFP, do you want to give us your wrap-up of that topic
7 and whatever else you'd like the Committee to understand
8 about your testimony today?

9 A. (MR. EUGENIS) Yes. Thank you, Mr. Derstine.
10 To -- as a summary, to kind of briefly review
11 some of the topics that I've covered in my testimony, we
12 use the Integrated Resource Plan to identify the
13 different needs that we have for resources on the system.
14 That informed our 2023 All-Source RFP process. We used
15 similar tools throughout this process in identifying
16 these different projects, that long-term capacity
17 expansion tool that I've kind of brought up several times
18 in our -- in my testimony thus far. And we find that the
19 Redhawk project is a part of that least-cost reliable
20 portfolio for our customers.

21 There was one other aspect of the RFP that I did
22 want to bring up that I -- I neglected in my previous
23 testimony. I just wanted to add that we do have an
24 independent monitor that participates as part of the
25 All-Source RFP process. This is somebody who evaluates

1 the evaluations that we do to make sure that we are doing
2 them in a fair and consistent basis and gives us a report
3 at the end of that kind of confirming that the process
4 was performed in a fair and equitable manner. And that
5 was something that I neglected to mention earlier.

6 CHMN STAFFORD: Member Little, you have a
7 question?

8 MEMBER LITTLE: Yes.

9 What are the qualifications of the
10 independent monitor? This is all pretty sophisticated
11 stuff to understand.

12 MR. EUGENIS: Member Little, I would have
13 to get their resume, for lack of a better term, or their
14 qualifications for you. I don't have that available to
15 me right off the top of my head.

16 MEMBER LITTLE: Generally speaking, do
17 you -- do you know if they have experience in resource
18 planning or --

19 MR. EUGENIS: Member Little, they represent
20 many years of industry experience, in both the resource
21 planning and procurement spaces. The independent monitor
22 that we worked with most recently has several different
23 members that participate as part of the process, one of
24 which has several decades of experience in the utility
25 industry.

1 MEMBER LITTLE: Wonderful. Thank you very
2 much.

3 BY MR. DERSTINE:

4 Q. Mr. Eugenis, do you use an All-Source RFP to
5 select your independent monitor?

6 A. (MR. EUGENIS) No, we do not.

7 Q. Anything else? I see your summary slide, number
8 105, you've spoken to it. Anything else you wanted to
9 add on -- on your topics?

10 A. (MR. EUGENIS) In conclusion, I'd just say that
11 we've identified a durable need for these resources into
12 the future. I spent some time talking about that in
13 terms of the Integrated Resource Plan and the study work
14 we performed there. There's a lot of value to this
15 resource type, the dispatchability of it, the flexibility
16 that it brings to our grid, and that we find this to be a
17 valuable project for our customers in making sure that we
18 maintain reliability into the future.

19 Thank you for your time today. And I appreciate
20 any other questions you may have for my testimony.

21 Q. I'll -- before the break we had a couple
22 questions that I -- that you said we would make an effort
23 to follow up on, one was Member Fontes's question
24 concerning I think the accounting treatment of this
25 project and that is that, if I understood Member Fontes's

1 question, would it be -- whatever label you're putting on
2 the document you sign with the counter-party to build the
3 Redhawk Expansion Project, would -- is it eligible for
4 treatment as CWIP, and maybe -- I think, Mr. Cole, you're
5 the right person to speak to that issue.

6 A. (MR. COLE) "The right person to speak to that
7 issue" is probably going a step too far, Mr. Derstine.
8 But I will do my best. In the case of Redhawk, just
9 maybe to try to shed a little bit of light on a couple of
10 questions that were asked previously, the project itself
11 is an EPC. And so in this particular case, we are making
12 payments along the way. And so I think Member Fontes's
13 question about CWIP, my belief is, yes, there will be
14 CWIP involved as that goes forward. I'm not an
15 accountant. I never played one on TV, but I believe
16 that's the way it works. And so -- just if that helps a
17 little bit with the description. And as far as SRB goes,
18 we believe that this project will be eligible for SRB.
19 Our estimate for this project is to be in service in
20 2028.

21 We are not eligible to be able to file a SRB and
22 collect on anything unless it is in service, and at this
23 time we do not know if and how and when we would file
24 that SRB filing. So I think that answers most of the
25 questions wrapped into one. Member Fontes and others who

1 were part of the line of questioning, I hope that helps a
2 little bit.

3 MEMBER FONTES: It does. Thank you, Brian.
4 I appreciate that. I just want to make sure that we
5 state for the record that this will eventually be a
6 rate-based project, so appreciate it.

7 CHMN STAFFORD: Thank you.

8 MR. DERSTINE: Anything further for
9 Mr. Eugenis before we move on to Mr. Van Allen?

10 (No response.)

11 (Peter Van Allen was previously
12 sworn by the Chairman.)

13 BY MR. DERSTINE:

14 Q. All right. Mr. Van Allen, you're sworn, you're
15 under oath, but let's go back to your introduction slide
16 and -- well, I guess we moved on to a new phase of our
17 case. We're done with the deep thinkers about planning
18 and resources, and we're back to a guy who is involved
19 with building the project; is that about right?

20 A. (MR. VAN ALLEN) That's correct.

21 Q. Okay.

22 A. (MR. VAN ALLEN) I get the privilege and
23 responsibility of the project once it's selected for that
24 process.

25 Q. Let me have you move forward to your microphone

1 and make sure the court reporter can hear you and the
2 members of the Committee.

3 A. (MR. VAN ALLEN) Is this better?

4 Q. That's better. Thank you.

5 A. (MR. VAN ALLEN) Very good.

6 Q. Take us through your education and your work
7 experience, please.

8 A. (MR. VAN ALLEN) Okay. Very good. So first of
9 all, good morning, and thank you for this opportunity.
10 We're excited to be here. A lot of work to get to this
11 point in a project that's been selected.

12 So a little bit about me. My name's Pete Van
13 Allen, I'm a project manager at APS. And as a project
14 manager I have responsibility that includes oversight of
15 scope, of schedule, budget, the risk, the quality, and
16 the resources for the project, right. So it's pretty
17 encompassing.

18 How did I get here? Actually, that jumped --
19 there you go, my background -- so my background a little
20 bit. Graduated from ASU, studied at W.P. Carey School of
21 Business. I have a degree in supply chain management. I
22 also have a certification with the Project Management
23 Institute, which is a PMP, project management
24 professional.

25 My experience at APS started 14 years ago. And

1 that experience includes a background in procurement,
2 operations, supporting daily plant operations at a coal
3 plant, maintenance activities, planning, you know,
4 planned outages, forced outages, there to support
5 day-to-day activities. Also capital projects which are
6 investment in new systems, right, to keep plants going.
7 So that's my background where I started with APS.

8 Eventually got into more of a consulting role on
9 larger complex projects and transferred into actual
10 project management leading the execution of projects and
11 having direct oversight. So that's my background.

12 Q. Okay. As the -- you're the project manager for
13 the Redhawk Expansion Project?

14 A. (MR. VAN ALLEN) I am the project manager for the
15 Redhawk Expansion Project, that's correct, yes.

16 Q. As the project manager, you have a multitude of
17 responsibilities, I think as you just touched on, but one
18 of them is to -- you're responsible for overseeing the
19 preparation and the filing of the CEC application that
20 brings us before the Committee today; is that right?

21 A. (MR. VAN ALLEN) That is correct.

22 Q. Okay. And the application is marked as APS
23 Exhibit 1?

24 A. (MR. VAN ALLEN) That's correct.

25 Q. Okay. Have you had an opportunity to review the

1 application that was prepared and filed by APS?

2 A. (MR. VAN ALLEN) Yes, I have.

3 Q. Do you have any corrections, changes to the
4 application, as we sit here today?

5 A. (MR. VAN ALLEN) I have none at this time.

6 Q. Okay. Well, let's, then, you have up on the
7 screen the outline of the testimony, the topics that
8 you're going to cover for the Committee. Let's take us
9 through that and preview what we're going to hear from
10 you today.

11 A. (MR. VAN ALLEN) Absolutely. So I want to walk
12 through the existing plant that's there today, cover the
13 history, right, of that plant, the plant description, how
14 it's configured and what that plant is today, its
15 location. Then I'll get into the actual expansion
16 project that's sited at that existing facility, the type
17 of equipment being proposed, the technology, the benefits
18 it provides. And then, ultimately, end with some project
19 costs and schedule and then we'll have other panelists
20 that will speak to environmental studies that were
21 conducted and air experts, water experts, right, that can
22 answer detailed questions in that space, so --

23 Q. Okay. So start us off with an overview of the
24 existing Redhawk Plant. I mentioned in my opening that
25 the plant was sited and constructed in the early 2000s,

1 why don't you give the Committee some more detail and
2 background on the Redhawk Plant as it sits today?

3 A. (MR. VAN ALLEN) Will do.

4 So the screen on the right, this is in APS-11,
5 slide 114. This is a representation of approximately
6 where the plant resides, both in the state of Arizona and
7 Maricopa County. So the figure on the right -- wrong
8 button, here we are -- all right, the figure on the right
9 is the state of Arizona, and that star represents
10 generally where the plant resides in Maricopa County. I
11 think we've had a little bit of a preview of that in the
12 opening by Mr. Derstine. And then Maricopa County,
13 unique shape here --

14 MEMBER KRYDER: Excuse me, Mr. Van Allen,
15 would you speak into your microphone a little closer,
16 please?

17 MR. VAN ALLEN: Will do. Thank you, Member
18 Kryder.

19 MEMBER KRYDER: Thank you.

20 MR. VAN ALLEN: The plant resides 50 miles
21 west of the city of Phoenix, city center. So western
22 Maricopa County.

23 Okay. So the CEC for the existing plant
24 was approved in February of 2000. That plant was
25 originally approved for four units to be built.

1 Ultimately only two units were built at the Redhawk Power
2 Plant. The two plants that are built are combined cycle
3 units, and they're a little bit of a different technology
4 than a simple -- just a simple cycle combustion turbine.

5 The CEC approved those four units. The
6 total output was 2,120 megawatts, but ultimately, only
7 two were built so that the capacity of the existing
8 station today is 1,060 megawatts. Those units are fueled
9 by natural gas. That natural gas is provided by two --
10 two different sources at that station. You have the El
11 Paso Gas Line, and there's also the Transwestern Gas
12 Line.

13 And that -- that allows our resource
14 management team to take advantage of sometimes there's a
15 pricing difference between the two sources of gas, and
16 they -- our customers can ultimately benefit from -- from
17 that station having two sources.

18 CHMN STAFFORD: And those two sources would
19 be the San Juan Basin and the Permian Basin?

20 MR. VAN ALLEN: That is correct. The
21 Permian Basin being Western Texas and the San Juan Basin
22 being basically the Four Corners region.

23 CHMN STAFFORD: Which one is which for
24 pipelines?

25 MR. VAN ALLEN: So El Paso is the Permian

1 Basin and the San Juan is through the Transwestern
2 pipeline.

3 CHMN STAFFORD: Thank you.

4 MR. VAN ALLEN: Yeah. So the existing
5 plant is approximately a 460-acre property, and the
6 existing plant consumes about 200 acres of that property.
7 And as we look at the screen on the right, we had the
8 visual flyover, but the Redhawk Plant is kind of in the
9 center here. It is surrounded by solar fields on the
10 north, the south, the east, and partially on the west.

11 Directly to the west of the Redhawk Plant
12 is the Mesquite Power Plant, as was presented in the
13 visual flyover previously. And then you also have the
14 Arlington Valley Power Plant, which is also a natural gas
15 power plant further to the west, approximately two and a
16 half to three miles away. And there's an additional
17 solar field that's west of that Arlington Plant. And
18 then north -- north of the Redhawk Plant is the Palo
19 Verde Nuclear Generating Station.

20 The power plant's composed primarily of
21 equipment, infrastructure you would typically expect of a
22 power plant, right, there's buildings, structures, power
23 generation equipment, electrical infrastructure, motor
24 control centers, power distribution centers, equipment
25 necessary to generate electricity for customers.

1 As spoken to previously, the station does
2 have two sources of gas, which is a benefit. There's
3 water that is -- there is two wells on the property that
4 exist today that provide groundwater, and then there's
5 also water that's provided to the existing facility from
6 the Palo Verde Nuclear Generating Station.

7 MEMBER KRYDER: Mr. Chairman?

8 CHMN STAFFORD: Yes, Member Kryder.

9 MEMBER KRYDER: Question, Mr. Van Allen.
10 What's the difference, in pedestrian terms, between the
11 new generators that are being proposed here and the
12 combined cycle? Can you say that in a few words that a
13 layman could understand?

14 MR. VAN ALLEN: When you say "pedestrian,"
15 is that like a visual if you're --

16 MEMBER KRYDER: No, that's like me that
17 doesn't know anything except the light switch on the
18 wall.

19 MR. VAN ALLEN: The differences between the
20 existing units and the units being proposed?

21 MEMBER KRYDER: Right. Between the
22 proposed units and what are called here combined cycle.

23 MR. VAN ALLEN: Certainly.

24 MEMBER KRYDER: What I'm trying to get at
25 is, you were authorized -- or this was authorized --

1 Redhawk was authorized for four units, only two were
2 built, there must be some underlying reason why two were
3 not built, and does that lead us into the two that are
4 being proposed? That's where I'm headed.

5 CHMN STAFFORD: Okay. I can answer that,
6 Member Kryder. When they originally sited this plant,
7 Arizona was considering electric competition,
8 deregulation, to where the generation aspect -- because
9 you have generation, transmission, distribution -- the
10 generation portion was going to be deregulated.

11 After the debacle in California in 2000,
12 Arizona abandoned that and, in fact, they just changed
13 the statute, I believe it was last year or the year
14 prior, to remove the reference in the statute that
15 competition is the policy of the state. And most of the
16 rules the Commission passed -- well, a good chunk of the
17 rules regarding electric competition got thrown out by
18 the Court of Appeals in the Phelps Dodge Decision in
19 2004.

20 The CECs, they have a time frame to build,
21 5, 10 years, it depends, typically the ones we do have a
22 10-year limit, but they varied in the past between you
23 know, five years, I think less in a few cases, but these
24 plants -- a lot of these plants, I think, were built in
25 contemplation of competing in the market to provide

1 power. And then when that failed to materialize, they
2 didn't fully develop. So that's why they only built two
3 of the units that were authorized. And I'm sure by now,
4 under the original CEC, it's expired for them to build
5 those two combined cycle units. And so what they're
6 proposing here is eight --

7 MR. VAN ALLEN: Eight LM6000s --

8 CHMN STAFFORD: -- Eight LM6000s, which are
9 a smaller simple cycle, as opposed to combined cycle. I
10 think we talked -- I think there was testimony in the
11 last case we talked about, like, a combined cycle takes
12 six hours to go from full stop to full running, whereas
13 these units take 10 minutes.

14 MR. VAN ALLEN: That is correct. That is
15 correct.

16 MEMBER KRYDER: Thank you very much.
17 That's very helpful.

18 MR. VAN ALLEN: Thank you, Chairman
19 Stafford.

20 All right. Advancing to the next slide, so
21 I'm now on slide 120. This is a zoomed-in version of the
22 aerial photo. And I just want to walk you through the
23 existing power plant. You have an administration
24 building, which includes some electrical infrastructure
25 in that building, there's a control room for the power

1 plant in that building. There's also the plant
2 management team that supports the operation and
3 maintenance for that facility that reside there. The
4 facility includes a building for the planning and
5 maintenance department. Planners and maintenance
6 personnel reside in that building, it includes a
7 warehouse as well for indoor storage for the existing
8 plant. You have a RO water treatment facility in the
9 bottom right, with water storage tanks that provide water
10 to the plant processes.

11 You also have an outdoor storage facility
12 on the property, and then you have the actual units
13 themselves, which is Redhawk Unit 1, Redhawk Unit 2, and
14 I think it's important, I'll talk about the expansion
15 project here in a minute, but the existing units are
16 530 megawatts per unit. The units we're proposing for
17 the expansion project are 49.6 megawatts, and that's in
18 the optimal conditions when it's, like, a 40-degree
19 ambient condition outside. They derate, right, as they
20 get warmer, ambient, right, 115-degree day it derates
21 approximately six megawatts.

22 So the existing plant, as we say, combined
23 cycle, it's really you have a simple cycle turbine on the
24 front, it just has a -- what they call a HRSG, on the
25 back end, so as the combustion turbine is operating, you

1 have the exhaust gas coming out of the back of that
2 turbine at approximately 1,100 degrees. That heat goes
3 through the HRSG, it's a fancy word, heat recovery steam
4 generator, it's a boiler, right, a bunch of pipes inside
5 this big metal box with pipes that can take advantage of
6 that heat that it would otherwise just go out the stack.

7 And that heat makes steam. Steam can be
8 fed to a steam turbine and can turn another turbine
9 generator that captures that energy and converts it to
10 electricity for customers. So they have a better heat
11 rate. They're more efficient, but they also take six
12 hours. And depending on the load that the resource
13 management team is trying to cover, in some instances it
14 a combined cycle plant makes sense.

15 When you have renewables and the benefit of
16 some of the newer emerging technologies, they can -- they
17 can deploy other -- other technologies, right, that are
18 better for customers. But we still can provide some
19 reliability backup generation with a simple cycle plant
20 that can be online in 10 minutes. And I'll talk about
21 that more as we advance, but --

22 MEMBER GOLD: Mr. Chairman?

23 CHMN STAFFORD: Yes, Mr. Gold.

24 MEMBER GOLD: Mr. Van Allen, you seem to
25 have a great deal of knowledge of these plants, so I'm

1 going to ask you some questions, if I might, before we go
2 further. Yeah, I'm trying to pull it closer, or maybe
3 I'll just get closer. Sorry about that.

4 In that storage facility and in the main
5 plant, you have control rooms that control your
6 generators, start them, stop them, or do you control the
7 generators from actually the generators? First question.
8 How do you turn them on, where do you have to be?

9 MR. VAN ALLEN: Absolutely. So in the
10 administration building there's a control room where a
11 control operator sits at a station that is outfitted with
12 all the right controls, and there are screens that
13 provide them indication of status of the different
14 systems. For that -- for each respective unit.

15 MEMBER GOLD: So the control room is really
16 the brains of the whole operation?

17 MR. VAN ALLEN: With -- there's a human
18 machine interface, so there are personnel that are
19 monitoring the machine very closely.

20 MEMBER GOLD: But they tell it to start and
21 stop or you can tell it to go autonomously, but whatever
22 it is, that's where the start and stop comes from?

23 MR. VAN ALLEN: That is correct.

24 MEMBER GOLD: Next question, the switches
25 that control the start and the stop, are they very

1 expensive?

2 MR. VAN ALLEN: It -- so the answer to that
3 is it depends. There's different voltage classes,
4 different size of switches, small pumps, right, really
5 small equipment can be very nominal value. There's other
6 high-voltage equipment that could have a very real value.

7 MEMBER GOLD: Are these switches turned on
8 manually or are they turned on electronically?

9 MR. VAN ALLEN: They are turned on
10 electronically through a control system that, in some
11 cases, you can initiate a start sequence and there's
12 automation behind the process, and it will initiate
13 certain systems to come on. In some cases
14 they -- certain systems are turned on manually by the --
15 by the operators.

16 MEMBER GOLD: So the operator can always
17 override it and turn on the systems manually?

18 MR. VAN ALLEN: That is correct, yes.

19 MEMBER GOLD: Is that like a mechanical
20 switch or is it an electronic switch that turns them on?

21 MR. VAN ALLEN: They do that at the HMI
22 interface, so it's on literally a monitor that's in front
23 of them, and they have a mouse and they can select to
24 turn things on or turn things off.

25 MEMBER GOLD: Okay. That's understandable,

1 but what I really want to know is can an operator go over
2 to either the combined cycle or the simple cycle
3 generator and just turn it on without using any
4 electronic equipment?

5 MR. VAN ALLEN: I don't know the answer to
6 that question. But I don't believe it's feasible to just
7 go turn on. It's not as simple as a light switch. There
8 are multiple systems that have to be in certain status to
9 go to the next sequence, and they're very complex
10 systems.

11 MEMBER GOLD: So let's take a look at a
12 worst-case scenario.

13 MR. VAN ALLEN: Okay.

14 MEMBER GOLD: That we're relying on your
15 station and something's gone on and your electronics
16 don't work. Can you go in there and turn this thing on,
17 under a worst-case scenario, and get power onto the grid?

18 MR. VAN ALLEN: I don't know the answer to
19 that question. There are certain -- certainly systems
20 you can turn on manually, but there are some that have
21 permissives that are -- specifically hold you out from
22 initiating so you don't create an unsafe condition.

23 MEMBER GOLD: Okay. So let me make it
24 simpler, and there's a reason I'm asking.

25 MR. VAN ALLEN: Okay.

1 MEMBER GOLD: Forget about your combined
2 cycle, I understand they're very complicated to turn on
3 because you've got to get temperatures reached, you've
4 got to get steam turbines to go on. Let's go to your
5 simple cycle plant that you're planning on building.
6 Simple generators, the LM6000 turbines, it's got an
7 on-and-off switch, doesn't it?

8 MR. VAN ALLEN: Even though they're called
9 simple cycles, they still have very complex controls that
10 monitor, you know, the combustion process, everything's
11 optimized to perform in concert, right, the emission
12 control system has to work with the combustion turbine.
13 You're flowing gas at the right rate, you're maintaining
14 pressure. There's a lot of electronics involved for
15 normal operation.

16 MEMBER GOLD: Is there a way to turn on
17 those generators without electronics? Can you turn on
18 the generator like you start a jet airplane?

19 MR. VAN ALLEN: No, not without
20 electronics. You need electronics.

21 MEMBER GOLD: Okay. What electronics do
22 you need?

23 MR. VAN ALLEN: There are multiple systems
24 that make that system work. There are what they call
25 PLCs, process logic controllers --

1 MEMBER GOLD: Okay.

2 MR. VAN ALLEN: -- that control the
3 processes, right? There's certain sequences, there's
4 logic that is integrated into those controllers that
5 ensure things are started in the right sequence at the
6 right time at the right speed before switches turn on,
7 close.

8 MEMBER GOLD: So the PLC, project logic
9 controller, is the key ingredient that if that thing
10 burns out you can put another one in and start the
11 generator?

12 MR. VAN ALLEN: And pull -- pull module,
13 yeah. It has logic programmed into it and it follows its
14 program.

15 MEMBER GOLD: How many backups do you keep?

16 MR. VAN ALLEN: So there's an assessment
17 that would go for this project that's proposed, right, we
18 identify a list of all the different components that make
19 up a power -- power block or a unit, and we would go
20 through a thorough assessment with the maintenance
21 planners and the plant personnel and some engineering
22 team members that would make recommendations that
23 certain -- certain spares are kept in the storeroom.

24 MEMBER GOLD: So the PLC you have backups
25 for?

1 MR. VAN ALLEN: We've not made that
2 decision at this time for these units.

3 MEMBER GOLD: Before you go on, how
4 expensive is a PLC?

5 MR. VAN ALLEN: I think it depends on the
6 component of the PLC, but if you -- just the controller
7 I'm speculating, but probably anywhere from 10,000 to
8 \$50,000, depending on the controller module.

9 MEMBER GOLD: Okay. 10,000 to \$50,000 for
10 the controller module. So let's assume the grid goes
11 out, which has happened before. I was in Boston when
12 they had the big blackout, and that was caused by
13 something. And a couple years after that they had
14 another power blackout. What I'm asking is, can your
15 LM6000s be started in a worst-case scenario?

16 CHMN STAFFORD: You're talking like a black
17 start?

18 MEMBER GOLD: I have no idea what the
19 terminology is called, it may be that.

20 MR. VAN ALLEN: And so I don't believe
21 these units are being configured for black start
22 operation. Typically, that configuration you have to
23 have some power to spin certain systems up, right, you
24 have diesel generators that would come up to allow other
25 systems to come on that are mandatory so you can give

1 it -- give it the start, and it can run through its start
2 sequence. So this station is not currently being
3 configured to be black start capable.

4 MEMBER GOLD: Okay. But you do have small
5 diesel generators there just in case of something, right,
6 backup generators?

7 MR. VAN ALLEN: So for the proposed
8 project we're not --

9 MEMBER GOLD: No, for the existing project.

10 MR. VAN ALLEN: For the existing plant?
11 I'd have to find out what backup generators they have at
12 the facility. I anticipate they have some. I can make a
13 note and get a question to that or get an answer to that
14 question.

15 MEMBER GOLD: I would appreciate an answer
16 to that. So the terminology -- thank you,
17 Mr. Chairman -- I'm looking for is a black start and the
18 critical component to make that work is a PLC, but you
19 also need some kind of small diesel generator to provide
20 enough power to use that; am I correct?

21 MR. VAN ALLEN: That's a correct statement.

22 MEMBER GOLD: Is there anything else that
23 I'm missing because I don't have enough knowledge.

24 MR. VAN ALLEN: No, no, I would say we have
25 black start units in our fleet, and they are very

1 specific -- they are strategic units that are used and
2 selected and there are policies and procedures that they
3 put in place, so that if we ever had a blackout that
4 there is a way to restore power.

5 MEMBER GOLD: Okay.

6 MR. VAN ALLEN: And we have experts and I'm
7 not an expert in that case.

8 MEMBER GOLD: No, you've given me a lot of
9 information I didn't have previously. So the black start
10 project for APS, I mean, there's, what is it, 5 million
11 people in the state -- in Phoenix -- or the state of
12 Arizona that you guys supply?

13 MR. VAN ALLEN: We have 1.4 million.

14 MEMBER GOLD: 1.4 million. I come from New
15 York, forgive me, it's 14 or 20 million by now.

16 CHMN STAFFORD: But that 1.4 million
17 customers, it's not 1.4 million people. It's per
18 connection.

19 MR. VAN ALLEN: I may be one customer at
20 APS but yeah, there's four people in the house.

21 MEMBER GOLD: Well, 1.4 million customers
22 and you have enough black start to provide electricity to
23 those 1.4 million customers and this plant will help or
24 won't help?

25 MR. VAN ALLEN: So --

1 MEMBER GOLD: In that scenario, what you're
2 planning.

3 CHMN STAFFORD: Well, I think the black
4 start doesn't -- that's just to get the system back up.
5 If there's -- if there's an outage, and so then once that
6 outage happens is that these units would be incapable of
7 running until you had the black start unit fire up and
8 give enough juice to restart this plant. And I don't
9 think this plant plays any role in the black start. It's
10 just primarily designed to serve load.

11 The combined cycles, they provide more of a
12 steady output, whereas the project is going to be
13 multiple smaller units that can come on and off in
14 sequence, depending on what the demand is. And so they
15 can quickly ramp up if there's -- if there's a need to
16 increase the supply, and then they can ramp down when
17 it's -- that demand is no longer there.

18 MEMBER GOLD: So this project is for
19 reliability under normal circumstances, but not under
20 emergency circumstances?

21 CHMN STAFFORD: That is my understanding.
22 Is that correct?

23 MR. VAN ALLEN: That is correct. I believe
24 Mr. Spitzkoff will be able to talk in more detail later
25 in his testimony if there's questions in this space.

1 MEMBER GOLD: Thank you very much. And,
2 Mr. Chairman, thank you very much.

3 CHMN STAFFORD: Member Fontes, I see your
4 hand is raised.

5 MEMBER FONTES: Yes, Mr. Chairman. I just
6 was not following the suitability and applicability of
7 those questions. I think our admin rules and our
8 procedures focus on environmental stakeholders on the
9 design-build and not the operational capabilities. I
10 think NERC covers that, so just want to observe that
11 maybe we should stay a little more focused here,
12 Mr. Chairman.

13 CHMN STAFFORD: Thank you for that
14 observation, Mr. Fontes.

15 Mr. Derstine.

16 BY MR. DERSTINE:

17 Q. Have you covered what you planned to cover about
18 the existing Redhawk Plant, Mr. Van Allen?

19 A. (MR. VAN ALLEN) I have.

20 Q. Okay. I had one additional question that I see
21 your third bullet on slide 119 says, "Water source from
22 Palo Verde Generating Station and local groundwater," can
23 you give the Committee a bit more information on, one,
24 how water is sourced from Palo Verde, and then if you
25 have the numbers in terms of how much the existing

1 Redhawk Plant currently uses in the way of groundwater,
2 just on an average basis?

3 A. (MR. VAN ALLEN) I'd be happy to.

4 So the existing Redhawk Plant does have water
5 coming to it from the Palo Verde Plant, that is effluent
6 water, right, treated, reclaimed wastewater that they get
7 from municipalities in the western -- western valley, and
8 Palo Verde being in such close proximity to that station,
9 the Palo Verde station has the ability to receive water.
10 They have the agreements in place, and the great thing,
11 it requires less groundwater, right, you can use that
12 treated effluent water.

13 The existing plant today at Redhawk uses
14 approximately 500 acre feet annually in groundwater. And
15 the expansion project that we're here discussing today
16 will use an additional approximately 300 acre feet of
17 groundwater.

18 Q. What are the groundwater rights, if you know,
19 that are held by APS for the Redhawk Power Plant site?

20 A. (MR. VAN ALLEN) So my recollection, and
21 Mr. Nicholls will speak about this in greater detail in
22 the studies that he conducted, there are 3,356 acre feet
23 of groundwater rights, type I groundwater rights.

24 Q. So that's the certificated water rights that APS
25 received when it developed the 400-plus acre Redhawk

1 Plant site?

2 A. (MR. VAN ALLEN) Yes, that's correct.

3 Q. Okay.

4 MEMBER KRYDER: Mr. Chairman?

5 CHMN STAFFORD: Yes, Member Kryder.

6 MEMBER KRYDER: Mr. Van Allen, you

7 mentioned that, in addition to groundwater, I just wanted

8 to clarify, did I hear correctly that some of the water

9 for Redhawk existing comes from Palo Verde?

10 MR. VAN ALLEN: That is correct, yes.

11 MEMBER KRYDER: And is that included in the

12 500 acre feet that are currently being used or is the

13 500 acre feet in addition to what comes from Palo Verde?

14 MR. VAN ALLEN: The 500 acre feet is in

15 addition to what comes from Palo Verde.

16 MEMBER KRYDER: Okay. So --

17 MR. VAN ALLEN: The reason --

18 MEMBER KRYDER: Oh, go ahead.

19 MR. VAN ALLEN: There's a distinct

20 difference between treated wastewater and groundwater,

21 right, from an environmental impact, so we differentiate.

22 And being that the expansion project is not proposing to

23 use wastewater from Palo Verde, we focused solely on the

24 groundwater use.

25 MEMBER KRYDER: Okay. And the wastewater

1 that comes from Palo Verde is wastewater in the sense
2 that it's their -- out of their cooling towers?

3 MR. VAN ALLEN: So the cooling towers --
4 okay. So the water that comes from Palo Verde is through
5 their water reclaim facility, which has a treatment
6 process for that water. They improve it to a specific
7 grade or quality.

8 MEMBER KRYDER: Sure.

9 MR. VAN ALLEN: It comes over to the
10 Redhawk site at a specific or defined quality.

11 MEMBER KRYDER: Okay. And so what existing
12 Redhawk uses has to be groundwater rather than that
13 reclaimed water or the -- it's just the new proposal that
14 has to use groundwater instead of reclaimed water?

15 MR. VAN ALLEN: So, Member Kryder, I'll do
16 my best to explain the different uses of the water. The
17 water that comes from Palo Verde at the Redhawk site is
18 used in the cooling towers at the Redhawk facility, the
19 existing facility.

20 MEMBER KRYDER: Okay.

21 MR. VAN ALLEN: The expansion project
22 that's being proposed does not have cooling towers.

23 MEMBER KRYDER: Right.

24 MR. VAN ALLEN: Because they're simple
25 cycle units. So they don't have a need for cooling

1 towers. So -- but they do have a need for water in
2 different processes for the new units. And it's much
3 more efficient and cost-effective to use groundwater for
4 the limited water needs for the expansion project.

5 MEMBER KRYDER: So the water on the
6 proposed units is demineralized RO water?

7 MR. VAN ALLEN: That is correct.

8 MEMBER KRYDER: And what's the approximate
9 efficiency of your RO units? Back of the envelope.

10 MR. VAN ALLEN: You know, I don't have the
11 exact efficiency number. I will get that information for
12 you. But as you understand it, you know, there is some
13 percentage of waste drain, right, when you create RO
14 water, right, you have a permeate, and you have a --

15 MR. KRYDER: Your effluent, sure.

16 MR. VAN ALLEN: Right. And that is -- but
17 that water can be returned to the existing Redhawk Plant
18 and used in other processes.

19 MEMBER KRYDER: Oh, okay. That was where I
20 was also driving the question. The effluent, then, that
21 comes from your RO process goes back into the existing
22 Redhawk and is used somewhere in that process, because
23 that's sometimes kind of nasty stuff; is -- is that a
24 correct statement?

25 MR. VAN ALLEN: That is a correct

1 statement.

2 MEMBER KRYDER: Okay. So you don't have a
3 de-sal pond -- or a pond where you dump your effluent or
4 anything like that, you can use it back into the existing
5 plant?

6 MR. VAN ALLEN: The existing plant has --
7 has a ZLD, a zero liquid discharge unit, right, that can
8 process water. But they always try to -- they follow all
9 the rules, all the permitting requirements, to use water
10 to the exact requirements --

11 MEMBER KRYDER: Okay.

12 MR. VAN ALLEN: -- that comply with the
13 water standards. And Mr. Nicholls will speak to that,
14 right, he will talk about the Arizona -- it's an active
15 water management area, and they follow rules and our
16 plant has permits in place, and we follow those permit
17 requirements.

18 MEMBER KRYDER: And does each of the new
19 units, they are, what, 10, 10 new units coming on or
20 proposed?

21 MR. VAN ALLEN: So eight new units being
22 proposed, right, with the two existing units, so the
23 site, if approved and fully built out, would be outfitted
24 with 10 units.

25 MEMBER KRYDER: And so does each unit have

1 a chiller, then, as a part of its use and that water is
2 used in the chilling process or how do you use the water
3 on the proposed units?

4 MR. VAN ALLEN: I have a slide, I think,
5 where I'll be able to better explain.

6 MEMBER KRYDER: Oh, okay. If you're coming
7 up on that.

8 MR. VAN ALLEN: I will, yeah, on a later
9 slide.

10 MEMBER KRYDER: Okay. Great.

11 Anyway, I was just wanting to look at that,
12 because water is water and we're in an ag area, and
13 everybody around you is in an ag area, and so anything --
14 every -- every gallon we take out takes away from some
15 other usage, and that's where I was looking.

16 Thank you very much. I'll look forward to
17 the presentation.

18 MR. VAN ALLEN: Okay. Thank you.

19 BY MR. DERSTINE:

20 Q. I guess on that, following up on Member Kryder's
21 point in terms of other water users, my understanding is
22 that when the Redhawk Plant was originally sited, there
23 is a -- the land use permit that was part of that
24 required that APS monitor nearby wells and ensure that
25 there were no adverse impacts to those nearby wells; am I

1 correct about that?

2 A. (MR. VAN ALLEN) That's correct.

3 Q. And that's something that APS does on an ongoing
4 basis?

5 A. (MR. VAN ALLEN) Yes. We have a water resource
6 team and they participate and have oversight for that --
7 that responsibility, that condition requirement.

8 Q. So to close the loop on water with regard to the
9 existing plant and the proposed expansion project, you're
10 using treated effluent from Palo Verde for many of the
11 water needs at the existing combined cycle plant. In
12 addition to the effluent from Palo Verde, you're using
13 approximately, depending on the year, 500 acre feet of
14 groundwater for the existing combined cycle plant; is
15 that correct?

16 A. (MR. VAN ALLEN) That is correct.

17 Q. And for the expansion project you anticipate an
18 additional need of approximately 300 acre feet of
19 groundwater for those eight new simple cycle units?

20 A. (MR. VAN ALLEN) That is correct.

21 Q. Okay. So do you want to take us further into
22 your description of the expansion project?

23 MEMBER FRENCH: Mr. Chairman?

24 CHMN STAFFORD: Member French.

25 MEMBER FRENCH: Before we move on, I have

1 one question about the groundwater situation. I
2 understand that you have certificated authorities
3 pertinent to the land that will cover your need, but you
4 mention that you have two wells on the property that will
5 serve these authorities, and I just want to ensure that
6 those wells have a permitted volume associated to them
7 that can cover your need. And if you can't answer this
8 question, it would be better answered later, that's fine
9 too.

10 MR. VAN ALLEN: That is correct.
11 Mr. Nicholls will speak to that, but we do have two
12 existing wells. They will provide the water necessary to
13 meet our need for this expansion project.

14 MEMBER FRENCH: Okay. So the question is,
15 do those wells have a permitted capacity that will cover
16 that need?

17 MR. VAN ALLEN: I'll let Mr. Nicholls
18 answer that.

19 MEMBER FRENCH: Thank you.

20 MR. VAN ALLEN: Yes.

21 MR. DERSTINE: And if that's not
22 information that Mr. Nicholls has in terms of the
23 permitted volume for the two wells at the existing
24 Redhawk Plant site, we can get that information and we'll
25 update Mr. French on that, is that -- can we do that,

1 Mr. Van Allen?

2 MR. VAN ALLEN: I'll work on that if
3 Mr. Nicholls doesn't have that information, yes.

4 BY MR. DERSTINE:

5 Q. Okay. All right. The expansion project.

6 A. (MR. VAN ALLEN) All right. So this is just a
7 ground-level photo of the existing units at the facility
8 for your reference. We'll move on. So we're going to
9 cover the expansion project. So the -- so just to
10 orientate everyone, I think this is consistent with the
11 placard you have as a placemat, but this image gives an
12 outline of the existing plant boundary. This is the
13 460-acre property, right, outlined in blue. And the
14 project site is being proposed within that yellow box on
15 the existing property.

16 So the expansion project's ultimately proposing
17 to build and construct eight LM6000 units. These units
18 are rated at 49.6 megawatts when you're in a 40-degree
19 ambient condition. We are permitting these for less than
20 20 percent capacity factor. And the units are natural
21 gas-fired. And they are equipped with advanced
22 state-of-the-art emission control system, which is
23 ultimately a CL catalyst, they call it an oxidation
24 catalyst. It converts carbon monoxide to CO₂, so it's a
25 safe -- much safer than carbon monoxide, and it's also

1 equipped with a SCR catalyst system. In conjunction with
2 ammonia it converts that NOx to -- to nitrogen and
3 reduces that pollutant to levels that are acceptable.

4 MEMBER GOLD: Mr. Chairman?

5 CHMN STAFFORD: Yes, Member Gold.

6 MEMBER GOLD: Mr. Van Allen, you passed
7 over something very quickly, I'm sure it's something I
8 don't understand. But the previous two slides you show
9 the existing Redhawk units. There seem to be four
10 stacks, but you said there were only two generators.

11 Why are there four stacks.

12 MR. VAN ALLEN: Great. Yeah. So jumping
13 back to slide 122 on APS-11, so as mentioned previously,
14 the existing units are what they call a two-by-one
15 combined cycle power plant. And the addition of a HRSG
16 on the back end of a simple cycle unit really makes it a
17 combined cycle unit, right. You're taking that waste
18 heat that's coming out of the turbine, you're making
19 steam. And that steam is fed into a steam turbine that
20 has a separate generator and it can make additional
21 power. And a two-by-one combined cycle power plant is a
22 configuration that ultimately has two combustion
23 turbines, with two HRSGs, and both HRSGs feed into a
24 common steam turbine for a combined output of
25 530 megawatts of output.

1 MEMBER GOLD: So if I understand the
2 picture correctly in front -- I'm going to use a pointer
3 for just a moment. That gadget and that thing are the
4 steam turbines or the steam turbine and the HRSG?

5 MR. VAN ALLEN: I understand your question.
6 I'll walk you through that diagram.

7 MEMBER GOLD: Okay.

8 MR. VAN ALLEN: Yes. So on the very front
9 of the unit there's a -- it's kind of a blue-colored box,
10 that's the air inlet for the combustion turbine. It's a
11 filter house. It simply has the filters that clean air
12 before they go into a combustion turbine, much like an
13 automobile has an air filter. And in some cases they're
14 also equipped with an evaporative cooler. You can do
15 inlet fogging or you can even put a chilling system,
16 right, in that housing, and it cools ambient air coming
17 in to the combustion turbine for efficiency in hot
18 ambient conditions.

19 So it -- then you have the combustion
20 turbine that is coupled directly to an electric
21 generator, and it creates electricity. That waste heat
22 comes out the combustion turbine into -- this is what
23 they call the HRSG, the H-R-S-G, it's essentially just a
24 boiler. It has a lot of steel tubes, pipes, and their
25 boiler -- boiler tubes that have water flowing through

1 them, and it creates steam.

2 So when we say a two-by-one combined cycle
3 power plant, that simply means you have two combustion
4 turbines, and that "by one" is a steam turbine, so they
5 have a common steam turbine that they both can feed steam
6 into and create electricity. So in the case of Redhawk,
7 these are 160-megawatt-rated combustion turbines, GE 7FA
8 units.

9 MEMBER GOLD: And there were two of them?

10 MR. VAN ALLEN: There are two of them.

11 MEMBER GOLD: One for the first two
12 stacks --

13 MR. VAN ALLEN: For unit -- unit one,
14 right, has two combustion units. And then unit two has
15 two combustion turbines.

16 MEMBER GOLD: Gotcha. So even though it
17 looks like four things, there's really only two
18 turbines --

19 MR. VAN ALLEN: The two by -- yeah, the
20 two-by-one combustion.

21 MEMBER GOLD: -- going through boilers of
22 some sort to create steam, which turns something to
23 generate, turns --

24 MR. VAN ALLEN: As -- the steam turbine is
25 coupled to another separate stand-alone electric

1 generator that creates electricity.

2 MEMBER GOLD: Gotcha. Like a steam engine
3 creates mechanical energy, that thing -- some kind of
4 dynamo that creates electric energy?

5 MR. VAN ALLEN: Yes, that's correct.

6 MEMBER GOLD: Thank you.

7 CHMN STAFFORD: Member Fontes, you had a
8 question?

9 MEMBER FONTES: Thank you, Mr. Chairman.
10 My question has to do with load
11 efficiencies, startup times and flexibility of
12 operations, because this is a peaker plant, you stated
13 that you got a two-by-one configuration with the HRSG.
14 Talk to me about higher fuel consumptions, increased
15 emissions, and then environmental benefits. I also want
16 to know how the ramp-up period would be different from a
17 simple cycle on LM6000s versus this configuration, and
18 why you are going to operate that. And then also we have
19 to deal with the lifecycle on this Committee and look at
20 the operational efficiencies over time. How is the HRSG,
21 the maintenance of that and the control systems, a
22 greater burden over a simple cycle for a peaker plant?

23 In all of the other cases we looked at here
24 in Arizona and certainly the plants that I'm familiar
25 with in my past in building CCUTs, peaker plants have not

1 been employing HRSGs, they've -- they've been simple
2 cycles. So that's the context of where I'm coming from
3 and why that particular design is being opted for here.

4 So if you can elaborate on that, Mr. Van
5 Allen, and I know I gave you have a bunch of stuff to do,
6 but again, it's the flexibility of the operations, the
7 maintenance, and the efficiency and the fuel use.

8 Thank you.

9 MR. VAN ALLEN: Member Fontes, I appreciate
10 your question. I think I might have confused the panel
11 when I -- we had started going into the expansion
12 project, then we came back to the existing plant, and I
13 think that's important to note. The picture on the
14 screen currently is the existing station, which is a
15 combined cycle power plant. The expansion project being
16 proposed are simple cycle units that do not have HRSGs
17 and their ramp times is very different.

18 MEMBER FONTES: Excellent. Can you
19 characterize and compare that? I thought that's what I
20 had heard, but that's why I was asking the question
21 delicately here.

22 MR. VAN ALLEN: Certainly.

23 MEMBER FONTES: Just for the fellow
24 members, hey, you've got an existing power plant that is
25 going to be operated differently, so therefore, the

1 environmental attributes are going to be a little bit
2 different with the fuel utilization. So, again, trying
3 to get it back to the applicability of what we're going
4 to look at when we get to the environment to have you set
5 that up.

6 So thank you.

7 MR. VAN ALLEN: Yeah. So, Member Fontes, I
8 would answer the existing combined cycle units from the
9 time you give them a start to the time they're at full
10 baseload can take hours. And you have to condition steam
11 before you can start spinning up the steam turbine. It
12 takes time. Mr. Eugenis and Mr. Cole gave testimony
13 previously that spoke to the need for more peaking
14 generation, which can respond very quickly to
15 fluctuations that could result, you know, from a various
16 number of factors, right, if the wind quits blowing,
17 clouds come rolling through and you lose solar
18 generation, peaking units can respond to that. And they
19 can be dispatched with a full load within 10 minutes. So
20 I think that's a key differentiator between peaking units
21 that are LM6000 simple cycle relative to a traditional
22 combined cycle power plant.

23 MR. DERSTINE: Did that answer your
24 question, Member Fontes?

25 MEMBER FONTES: I think so. What I'm

1 trying to gather for my fellow colleagues here on the
2 panel is that this operation will be -- have less
3 environmental concern than the original, so the expansion
4 is less of an impact, and it's not an extension, per se,
5 in terms of load efficiency and potential environmental
6 impact.

7 Is that fair to say, Mr. Allen -- Mr. Van
8 Allen, sorry?

9 MR. VAN ALLEN: That is a correct
10 statement. And I think you draw on a very important part
11 of the testimony that I want to convey, is that we're
12 adding eight units, right, to a site that has two units
13 it sounds like a significant, large number, but these are
14 small aeroderivative units, right, and the combined
15 capacity of those eight units is only 75 percent of one
16 of the existing combined cycle units. But it creates
17 huge flexibility for the resource management team,
18 because you can dispatch them in 25-megawatt blocks,
19 right, and that's a real flexibility tool that provides
20 reliability.

21 MEMBER FONTES: Thank you, Mr. Chairman.

22 CHMN STAFFORD: Thank you.

23 MR. VAN ALLEN: Thank you.

24 So now I'd like to talk about the proposed
25 expansion project. It takes advantage of existing

1 infrastructure that exists, right, you can site plants on
2 an existing power plant with an existing plant operation
3 maintenance team that have the training, the capability
4 skill-sets. You have infrastructure, gas infrastructure.
5 You have electrical infrastructure. There's water
6 infrastructure. It just -- it checks a lot of boxes that
7 provide value, right, the value proposition for APS
8 customers. And I think that's important.

9 BY MR. DERSTINE:

10 Q. So, Mr. Van Allen, I think the point you're
11 making there is this: If APS -- if a project proposal
12 came through the All-Source RFP and it was to develop
13 eight new LM6000 peaking units at a new undeveloped site,
14 you would have to bring in the gas infrastructure, the
15 transmission infrastructure, all of the common plant
16 elements that are already existing at the Redhawk Plant
17 site and so by, I guess to use Mr. Eugenis's terminology,
18 there was an opportunity, because of all the
19 infrastructure that exists at the Redhawk Plant site, to
20 develop these new eight simple cycle units without having
21 to incur the costs and to develop all that other common
22 plant that otherwise would be required for this project?

23 A. (MR. VAN ALLEN) That is a correct statement.

24 Q. Okay.

25 A. (MR. VAN ALLEN) So now I'd like to walk through,

1 we're on APS-11, slide 128, and we're zooming in now to
2 the primary construction area for the proposed expansion
3 project, right. The yellow box outlines the siting
4 location for the eight new units, along with a switchyard
5 addition that's necessary.

6 And Mr. Spitzkoff will be speaking to the
7 switchyard addition in great detail, but the generating
8 assets are here on the eastern side or the right side of
9 the expansion area. And it includes units 3 through 10,
10 and there's some necessary infrastructure, right, some
11 tanks and systems required to support the operation of
12 these units that is also necessary.

13 The units share a common transformer and there
14 will be some other photos later that will give you a more
15 realistic representation of these proposed facilities.
16 But, ultimately, the eight units will tie into what's
17 called a 230kV collector bus. And that collector bus
18 will take the power and then there's a 230 to 500 step-up
19 transformer, which will bring the voltage up to the 500kV
20 level, 500,000 volts, that is ultimately -- has a gen-tie
21 into the switchyard addition as a point of interconnect.

22 And we'll cover that in much greater detail, but
23 that's -- that's a general representation of the
24 facility. So the units will be sited directly south of
25 the existing admin building and maintenance buildings,

1 this is the area where Redhawk's Units 3 and 4, if they
2 were originally built, would have been sited.

3 Q. And that hashed area, and I'm looking at your
4 slide or the diagram in slide 128 of APS-11, that hashed
5 area, I gather, is the expanded switchyard that will be
6 developed to serve the new simple cycle units that we're
7 proposing for the -- for the project?

8 A. (MR. VAN ALLEN) That is correct. And right now
9 we're proposing to build it out with the necessary bay to
10 interconnect. And by extending it, it has the ability to
11 service other potential interconnectors in the future if
12 and where needed.

13 MR. DERSTINE: Okay.

14 CHMN STAFFORD: Member Fontes, you have a
15 question?

16 MEMBER FONTES: I do. Just a point of
17 clarification for my background here.

18 Is the step-up transfer -- transformer in
19 the 500kV line shared between the two, the existing CCTG
20 and the peaker plant, or will it have a separate step-up
21 transformer at the peaker plant?

22 MR. VAN ALLEN: Yup. Member Fontes, the
23 230 collector bus will have a dedicated transformer for
24 the expansion project, and it's independent of the
25 existing plant facilities.

1 MEMBER FONTES: And then the way it will be
2 dispatched, does the -- onto the transmission at the
3 500kV, I assume that's a 500kV line that it's going to be
4 exported at for both plants, the POI?

5 MR. VAN ALLEN: That is correct, yes. The
6 Redhawk Switchyard --

7 MEMBER FONTES: That is sufficient capacity
8 that both the baseload plant for the CCGT, plus the
9 peaker plant could export through the POI or would the
10 baseload have to curtail if the -- if the peaker plant is
11 fully exported?

12 MR. VAN ALLEN: Member Fontes,
13 Mr. Spitzkoff will have great testimony, great detail,
14 and he has -- he has the right background to answer those
15 questions.

16 MEMBER FONTES: No problem. I didn't know
17 if that was you, but I'll wait for Mr. Spitzkoff. I
18 just, again, want to understand that because we're
19 talking systems reliability what's the available
20 transmission capacity once it gets out to the grid to
21 just provide additional support to what you guys have
22 provided for the previous hearings and witnesses.

23 Thank you.

24 MR. VAN ALLEN: Understood. Thank you.

25 All right. So now I'd like to talk a

1 little bit about the Title V air permit. So the existing
2 plant has a Title V air permit, it's permitted through
3 Maricopa County, right, and EPA ultimately has oversight,
4 but Maricopa County is the local authority.

5 And the expansion project is -- we've
6 submitted a permit application to revise that Title V air
7 permit, and Ms. Carlton will speak to that in great
8 detail later in her testimony. But that -- that's in the
9 works, that's been applied. We submitted that in April.

10 We talked briefly about groundwater use --
11 the other pointer here. Just a moment here. Okay. So
12 we talked briefly about groundwater use in earlier
13 testimony. The plant does have the existing water rights
14 necessary, and Mr. Nicholls will speak to the
15 ground -- the wells themselves. The LM6000s, I think
16 it's important to note they are optimized for reduced
17 water use, right, they use what's known as a fin fan
18 cooler. It's essentially, they're metal fins that have
19 fans, and they can use air to cool, as opposed to having
20 a, like, water air-type cooler, so it uses less water.
21 And the expansion project will use an estimated 300 acre
22 feet annually for groundwater.

23 BY MR. DERSTINE:

24 Q. Before you move into the technology of the
25 LM6000s, I think Member Kryder had asked a question about

1 whether or not these units were using chillers and I --
2 can you speak to that?

3 A. (MR. VAN ALLEN) That's a good question. So I
4 think the best way to describe that is getting into that
5 next slide where --

6 Q. Your technology section?

7 A. And I think it gives me a visual reference so I
8 can help the Committee members understand a LM6000. So
9 the figure on the right is from APS-11, it's slide 132,
10 and it's an expanded version -- or view of a LM6000
11 turbine. They're relatively -- they're complex, but
12 there's a few module components to them. I can walk you
13 through the machine.

14 So you have, at the inlet, this is the inlet
15 guide veins, right, that are kind of -- they can control
16 the flow of air into the machine. They can angle at
17 different loads. They have optimal position for
18 controlling the air into the machine. This is what's
19 known as a low-pressure compressor, and that spins at
20 nominally 3,600 rpm.

21 And then you have what's called the VBVs, the
22 variable bleed valves, which during startup to maintain
23 flame stability, those valves can open up so you're not
24 pushing too much air through the machine and blow out the
25 combustion process that's underway. You have a 14-stage

1 high-pressure compressor that compresses air to a higher
2 pressure that's necessary for operation and the
3 combustion process.

4 Going to the combustor, you have the
5 high-pressure turbine, which there is a two-stage
6 high-pressure turbine, followed by a low-pressure
7 turbine, which has five stages. And then the combustion
8 process goes out. So the power, right, you have the
9 combustion process that takes place, the power's captured
10 here by the power turbines, and ultimately, the
11 low-pressure turbine powers the low-pressure compressor,
12 and there's a drive shaft on the front end that connects
13 directly to an electric generator that creates the
14 electricity for the LM6000.

15 So it's a relatively simple configuration. It's
16 not much bigger than a 12-passenger van. They are small
17 units relative to the larger frame units that the
18 existing plant is composed of. Those larger units,
19 right, don't have the turn-down capability that a smaller
20 unit has and provides.

21 So as far as water use, there's really three
22 processes for water use on a LM6000. You have what's
23 known as inlet -- you can do cooling, you want to cool
24 the air coming into the turbine, when it's really hot
25 out, you get better efficiency by cooling that air, and

1 you can either do inlet fogging, which is like misters,
2 right, like if you go to movie theaters and they have the
3 misting system out, right, that's kind of the equivalent
4 of inlet fogging. You can also do evap coolers, which
5 is -- it's kind of like a swamp cooler, they have a media
6 where you can run water down that media, air comes
7 through it, it cools the air. Or you can do what they
8 call a chilling system, which is a closed-loop system.
9 It's chilled water, just like in large buildings, you can
10 have a chilled water system that cools -- cools rooms,
11 right, and has a heat exchanger.

12 There's pros and cons to the different types of
13 inlet cooling you can provide. For simple configuration,
14 inlet fogging, which are the misting, are a low-cost
15 solution, and you get the same, you know, close to the
16 same benefit, but at a much lower cost.

17 CHMN STAFFORD: And the purpose of all
18 those is to increase the efficiency or the output of the
19 unit in high ambient temperatures, correct?

20 MR. VAN ALLEN: That is correct.

21 CHMN STAFFORD: And there's another process
22 that you use water for on the other end for reducing
23 emissions, correct?

24 MR. VAN ALLEN: That is correct, Chairman
25 Stafford.

1 CHMN STAFFORD: Am I jumping ahead, is that
2 the next note in your slides?

3 MR. VAN ALLEN: No, you're right, I'm just
4 kind of walking through the machine and -- so the systems
5 are equipped with what they call a WSPA, it's power
6 augmentation water spray. You can also inject water at
7 the inlets of the machines at the low-pressure
8 compressor. And that system puts more water, increases
9 the air density. By the time you get to the combustion
10 process, you've regained efficiencies you otherwise
11 wouldn't have if you did not inject water at that part of
12 the process.

13 MEMBER KRYDER: Mr. Chairman?

14 CHMN STAFFORD: Yes, Member Kryder.

15 MEMBER KRYDER: Perhaps you're going to
16 cover this, Mr. Van Allen, you said there were three
17 possibilities for this particular engine, which is it
18 going to use or does it use any of three according to the
19 operational needs?

20 MR. VAN ALLEN: Member Kryder, that's a
21 good question. So these units are -- that we're
22 proposing to build are equipped with inlet fogging
23 capability.

24 MEMBER KRYDER: So the answer to my earlier
25 question about chillers is "No, we don't use them."

1 MR. VAN ALLEN: This facility will not be
2 equipped with a separate chilling system.

3 MEMBER KRYDER: Thank you.

4 MR. VAN ALLEN: Thank you, Member Kryder.

5 And as Chairman Stafford alluded to, the
6 final use of the water in the machine, so you have the
7 inlet foggers, you have the water spray power
8 augmentation feature that injects water as a second
9 source of water use, and then the third is in the
10 combustion process there's what's called NOx water, and
11 that is used to temper the combustion process to reduce
12 the amount of NOx that is generated in the combustion
13 process. So it controls emissions. It helps reduce the
14 emissions.

15 MEMBER KRYDER: And this is all RO water?

16 MR. VAN ALLEN: Yes, that is correct.

17 MR. DERSTINE: Mr. Van Allen, is this a
18 good place to pause in your discussion about the
19 generation technology; and, Mr. Chairman, is this a good
20 place to pause for the lunch break?

21 CHMN STAFFORD: Seems like an excellent
22 place to me.

23 Mr. Van Allen, is this a good stopping
24 point for you?

25 MR. VAN ALLEN: It's a great point.

1 CHMN STAFFORD: I think it's a great
2 stopping point for everyone in that case.

3 With that, let's take our lunch recess.
4 It's 12:05, let's come back at 1:10.

5 We stand in recess.

6 (Recessed from 12:05 p.m. until 1:10 p.m.)

7 CHMN STAFFORD: Let's go back on the
8 record.

9 Mr. Derstine, I believe you were wrapping
10 up with -- oh, no, you weren't wrapping up, you were
11 continuing on with Mr. Van Allen.

12 MR. DERSTINE: I think we're close to
13 wrapping up with Mr. Van Allen. He's going to cover
14 just, I guess, spend another few slides just giving the
15 Committee his final discussion on the LM6000 turbine, and
16 then he's going to move into his discussion of the
17 project schedule and budget, and then I think we're ready
18 to transition on to the next witness, so --

19 MEMBER KRYDER: Mr. Chairman?

20 CHMN STAFFORD: Yes, Member Kryder.

21 MEMBER KRYDER: A question for Mr. Van
22 Allen, if I could.

23 CHMN STAFFORD: Certainly.

24 MEMBER KRYDER: You've got eight units
25 proposed in this project, correct?

1 MR. VAN ALLEN: That is correct, Member
2 Kryder.

3 MEMBER KRYDER: And I -- is it correct to
4 assume that you can start them one at a time or you can
5 start two at a time or four at a time? Tell me what the
6 plan is on these, as far as the startups and use.

7 MR. VAN ALLEN: Sure. Member Kryder,
8 that's a great question. And I defer to Mr. Eugenis to
9 answer that question. The resource management team kind
10 of leads the way the units are operated most efficiently
11 for the fleet, yeah.

12 MR. EUGENIS: Member Kryder, we'll dispatch
13 the units just according to system need. It may be one
14 unit at a time or we may dispatch multiple of them. It's
15 just whatever we need to at that point in time, whatever
16 the system calls for.

17 MEMBER KRYDER: And the number of units
18 that you'd start off, let's say instead of all eight, you
19 start at four, they'll start in the same 10 -- in other
20 words, they would all switch on and be up and running in,
21 back of the envelope, 10 minutes? I mean, it's not a
22 function of the number that you try to start up, you
23 don't have to sequence them and start 1 and then 10 and
24 start 2 and start 10, or they can start all at once?

25 MR. EUGENIS: Member Kryder, I believe they

1 can start all at once, but I'll defer to Mr. Van Allen to
2 correct me if that's not correct.

3 MR. VAN ALLEN: Member Kryder, it's a
4 correct statement that you can dispatch all eight units,
5 if called upon and needed immediately, or you could call
6 on one if you only needed one unit.

7 MEMBER KRYDER: Thanks very much. That was
8 much appreciated.

9 MR. VAN ALLEN: Thank you.

10 BY MR. DERSTINE:

11 Q. I think you were just going to walk through --
12 you had a couple slides showing different photo images of
13 the units.

14 Do you want to just quickly cover those?

15 A. (MR. VAN ALLEN) Right. So since this is LM6000
16 technology, I think the Committee's very familiar, there
17 have been recent projects, they've been well educated on
18 LM6000s. But slide 136 is a photo of a LM6000 in a shop
19 environment being serviced by a technician. It just
20 gives approximate scale to the approximate size of the
21 turbine, its complexity, its general configuration.

22 The next slide, this is slide 138 from APS-11,
23 this is a photo representation of a LM6000 power plant.
24 This particular plant has six units. Just walk you
25 through the units. So -- get the laser pointer turned on

1 here -- so at the top of each respective unit you have a
2 filter house, that's the air inlet where the air goes in,
3 comes down into the turbine package and air's fed into
4 the turbine and it's creating the electricity, right, as
5 it's directly connected to the generator.

6 The engine's operating, the emission control
7 system's on the back end of the unit, which is called the
8 SCR duct, and that's where the catalyst systems reside
9 that can control the emissions. And then this particular
10 image, this is a plant in the Houston area, so it has a
11 lot of greenery, very different environment from the
12 Southwest.

13 The stacks on these particular units are only
14 65 feet in height. Our units proposed for the Redhawk
15 Expansion Project are 85 feet in height. Each unit has a
16 step-up transformer that steps up the power from 13.8kV
17 to 230kV voltage. There's also a demin water tank here
18 in the back of this particular plant that holds the demin
19 water that's used during operation of the units.

20 There are also other tanks associated with the
21 water tanks, raw water and other -- other necessary tanks
22 for the balance of plant systems.

23 Q. I think your next slide is a similar photo of a
24 representation of a plant in a different location,
25 anything unique or different about that?

1 A. (MR. VAN ALLEN) There is not. It's, you know,
2 it also shows the air inlets with the stacks. You have a
3 cable tray that have different instrumentation and
4 control cables that run to -- to the units from various
5 plant infrastructure to support the functionality and the
6 operation of the units.

7 Q. Okay. Does that conclude, I think, your
8 coverage of the LM6000 technology?

9 A. (MR. VAN ALLEN) That does conclude.

10 Q. Okay. Let's move on to the schedule and the
11 budget. I think we're just advancing the right slide
12 without bringing the left along for the ride.

13 A. (MR. VAN ALLEN) Yeah, I apologize if a
14 button --

15 Q. Now I think we're at the end. Jumped
16 too -- we'll fix it in the control room over here.

17 A. (MR. VAN ALLEN) Okay. So then, okay, here we
18 are. Project schedule and budget. So we'll be moving on
19 to discuss the project schedule. So the first -- the
20 plan is that the first units will start up in the fourth
21 quarter of 2027, with the final units being in service in
22 spring of 2028. And that's part of the plan to be ready
23 for summer of 2028.

24 Construction's approximately a 24-month
25 duration. There's approximately 100 to 125 personnel

1 that would be supporting the construction operations of
2 this facility. The capital cost estimate for this
3 project is \$443 million. And that's comprehensive of the
4 entire plant, the electrical equipment, switchyards,
5 gen-tie lines, and substation addition necessary to
6 integrate the system to the ultimately what's known as
7 the energy management system, so that it can be called
8 upon to service APS customers.

9 The benefits with this project, there's no
10 additional cost to obtain land, it's existing property.
11 And APS owns the sites and, as we discussed previously,
12 has infrastructure to support power generation. And
13 we're currently still in ongoing negotiations with an EPC
14 contractor to sign the agreement to move forward with the
15 project, so --

16 Q. All right.

17 A. (MR. VAN ALLEN) And just a look-ahead. So we're
18 here in August of 2024 -- use this -- so on the screen on
19 the left -- get the highlighter -- so we're in
20 August 2024, here in the Line Siting Committee, we
21 anticipate at some point in October we would possibly be
22 in front of the Commissioners for approval -- this
23 pointer is not working for me -- and then construction
24 beginning in 2025 through 2027, and ultimately in service
25 in 2028. So that's a high-level review of the overall

1 project schedule.

2 And I'd just like to close with my remarks that,
3 you know, these are -- this is an important project.
4 It's a relevant project. It's a necessary project. And
5 the benefits are it puts power on the grid at a key
6 location that will provide reliability for APS customers.
7 We plan to be in service in summer of 2028. That's
8 a -- we have our work cut out for us, right, to do that
9 in kind of a post-COVID environment, we work very hard to
10 deliver and maintain schedule on projects of this
11 magnitude, but we're committed to that.

12 And I appreciate you hearing the high-level
13 review from a project scope and schedule perspective.
14 And turn it over to you, Mr. Derstine.

15 Q. Thank you, Mr. Van Allen.

16 Any additional questions for Mr. Van Allen?

17 CHMN STAFFORD: Member Hill?

18 MEMBER HILL: Thank you, Mr. Chair.

19 APS has a commitment to zero emissions by
20 2050. I know it's a voluntary commitment. I know that
21 that's your goal. What's the life expectancy of this
22 plant?

23 MR. VAN ALLEN: Member Hill, that's a good
24 question, and I think --

25 MEMBER HILL: Great question number three.

1 Sorry.

2 MR. VAN ALLEN: -- my resource management
3 team is best suited to answer -- answer that question.

4 MR. EUGENIS: Member Hill, we use a book
5 life associated with these facilities of 35 years,
6 however, that's just a generic assumption that we use.
7 Ultimately, it's set by the ACC as part of a depreciation
8 hearing.

9 MEMBER HILL: So is it -- when I think
10 about the lifecycle of this plant as we're siting it,
11 thinking about the environmental impacts, including
12 emissions, is it conceivable that in 2050 this is
13 decommissioned, but we're still paying for it? If it's a
14 35-year depreciation process.

15 MR. EUGENIS: Member Hill, we anticipate
16 that there will be some innovations into the future of
17 technologies that will allow us to continue to use
18 facilities, such as the one that we're requesting today
19 as part of our hearing, and that will still align with
20 our goal in 2050.

21 MEMBER HILL: So you're thinking a
22 different kind of fuel that might be carbon neutral or
23 carbon capture on the stacks or something like that or
24 are you thinking it's a whole -- a whole new
25 genera- -- like a whole new -- what are you thinking?

1 You guys are doing the innovation, so I'm thinking that
2 you're thinking longer term, so what does that look like?

3 MR. EUGENIS: Member Hill, those are some
4 options. So it could be hydrogen fuel that is a
5 potential in the future. I'm not sure what -- it depends
6 on what happens with that particular technology. It
7 could be something like carbon capture or sequestration
8 into the future. Could be something entirely novel that
9 doesn't exist today.

10 I think the purpose of making that
11 commitment public was to signal to the industry that
12 there needs to be that innovation that takes place over
13 the next couple of decades.

14 MEMBER HILL: And I just -- I'm concerned
15 about stranded assets. I know that we need this
16 electricity now. I do understand that. And I do
17 understand that we're in a transition. I -- I'm
18 wondering what options we have -- I just don't want to
19 get to a situation where it's 2050, APS has made its
20 commitment, you're getting there, and then we're paying
21 for this project, and it's a stranded asset. That's --
22 that's my concern.

23 And I don't know how you guys are thinking
24 about treating stranded assets. If you have strategies
25 around that, it would be nice to know.

1 MR. EUGENIS: And, Member Hill, absolutely
2 a topic of discussion internal to APS, something that
3 we're very focused on is our assets into the future. And
4 I think it's going to really depend on the present
5 circumstances at that time, in terms of what we will
6 ultimately do with these units that we're talking about
7 today, and frankly, the rest of the fleet that we
8 currently operate that has carbon emissions.

9 So really dependent on innovation to take
10 place, for future technologies to come to fruition, and
11 then ultimately doing what's best for our customers and
12 maintaining reliability at least cost for them.

13 MEMBER HILL: Okay. Thank you.

14 CHMN STAFFORD: Member Fontes, you have a
15 question?

16 MEMBER FONTES: Yes, sir.

17 Before this CEC and the Transmission Line
18 Siting Committee, we've seen a few peaker plants lately.
19 I tend to track overnight construction costs. And we've
20 seen them range from 950 to 1,300 per kilowatt hour. If
21 I did the math correctly, this one's 1,115, kind of on
22 the higher end, but, of course, you know, supply chain,
23 long lead items, I get that. I guess, going to Member
24 Hill's effect, two questions: One is, can you tell us
25 what that is in terms of an overnight construction cost

1 in terms of kilowatt -- per kilowatt; and then on the
2 EPC, can you just go on the record and confirm that you
3 have liquidated damages and scheduled damages for cost
4 controls for that.

5 And then the question that I have,
6 independent of that, separate from the overnight
7 construction costs, when we get to the appropriate time,
8 because we look at the lifecycle of the asset and the
9 environmental mitigation, towards Member Hill's question,
10 what is the decommissioning plan, and how will that be
11 funded? Or -- it would be something that I want to look
12 at later today or when we get to the appropriate section.
13 If you could follow up with that, either yourself or
14 Mr. Derstine, I would appreciate that.

15 Thank you.

16 MR. EUGENIS: Member Fontes, I'll follow up
17 with you on what the dollar per kW cost was for the
18 plant. I don't have that immediately in front of me. I
19 can confirm that there will be liquidated damages or
20 commercial terms in place that guarantee performance as
21 part of any contract that's signed for this facility.
22 And then we'll follow up in terms of a future
23 decommissioning plan as well.

24 BY MR. DERSTINE:

25 Q. And, Mr. Van Allen, I think we heard some of the

1 Committee's discussion with the applicant last week on
2 decommissioning. I think you indicated that APS has a
3 generalized decommissioning program or obligation that
4 you recognize, we can go into -- unless you have the
5 knowledge to answer it now, we can come back to that or
6 can you answer that question?

7 A. (MR. VAN ALLEN) Mr. Derstine, I don't have the
8 specifics on that program, so I'd have to talk to my
9 subject matter experts in that space, and we can get a
10 response to the Committee.

11 Q. Okay. Very good.

12 CHMN STAFFORD: Mr. Derstine, I believe
13 you're going to call Mr. Spitzkoff next?

14 MR. DERSTINE: Yes. That concludes Mr. Van
15 Allen's testimony, the last witness.

16 CHMN STAFFORD: Mr. Spitzkoff is all lined
17 up. I guess I can swear him in and --

18 MR. DERSTINE: Swear him in and Ms. Benally
19 will -- has the privilege and the honor of presenting
20 Mr. Spitzkoff's testimony.

21 CHMN STAFFORD: Excellent. Thank you.

22 Mr. Spitzkoff, do you prefer an oath or
23 affirmation?

24 MR. SPITZKOFF: Affirmation, please.

25 (Jason Spitzkoff was duly affirmed by

1 the Chairman.)

2 CHMN STAFFORD: Please proceed.

3

4

JASON SPITZKOFF,

5 called as a witness on behalf of Applicant, having been

6 previously affirmed by the Chairman to speak the

7 truth and nothing but the truth, was examined and

8 testified as follows:

9

10 DIRECT EXAMINATION

11 BY MS. BENALLY:

12 Q. Thank you.

13 Good afternoon, Mr. Spitzkoff. Let's start with

14 an overview of your educational background and work

15 experience.

16 A. (MR. SPITZKOFF) Okay. It seems this needs to be

17 elevated.

18 I have a bachelor's of science in electrical

19 engineering and a bachelor of arts in economics, both

20 from Rutgers University.

21 I've been working in the industry for 23 years

22 at APS, all roles involving transmission planning,

23 siting, and interconnections. Currently the manager of

24 transmission planning, siting, and interconnections.

25 For industry background, I have participated in

1 national forums as a part of the NERC Planning Committee,
2 NERC is the North American Electric Reliability
3 Corporation. In a regional capacity, in various WECC
4 committees, which is Western Electric Coordinating
5 Council. And more regionally in WestConnect on the
6 Planning Management Committee. And then locally,
7 participated in a number of the State of Arizona's
8 biennial transmission assessments and testified in a --
9 more than a handful of line siting cases.

10 Q. Okay. Thank you.

11 What do you plan on covering in your testimony
12 today?

13 A. (MR. SPITZKOFF) Today I plan to cover three main
14 topics: The first being the transmission infrastructure
15 in the surrounding area of the Redhawk project. And then
16 part of that, how the Redhawk Expansion Project is
17 connecting to the grid. Then move on to the Reliability
18 Study that APS filed. And then talking about the
19 interconnection process and the current status of the
20 interconnection requests for this project.

21 Q. Okay. Thank you for that overview.

22 So let's start with you describing what the
23 transmission system is in the area, and I think you've
24 got a map that you're going to work from, which is
25 APS-11, slide 157.

1 A. 158.

2 Q. 158. Thank you.

3 A. (MR. SPITZKOFF) Yeah, so first going to describe
4 how Redhawk -- the existing Redhawk is connected to the
5 grid. And on the right screen, I'll provide some
6 orientation to the map. At the top is the Palo Verde
7 Generating Station, and then where all the red lines
8 converge, that's the switchyard. And, as Mr. Cole
9 accurately explained yesterday, it's sort of to the east
10 of the major plant equipment.

11 Moving to the south is the Hassayampa Switchyard
12 where you can see a large set of transmission lines
13 converging in that location. And then down at the bottom
14 is the existing Redhawk Power Plant.

15 So the two generators at Redhawk today connect
16 to the Redhawk Switchyard that's there today. And then
17 from that switchyard, Redhawk is connected to the
18 Hassayampa Switchyard by two 500kV generator tie lines.
19 And that's shown as the two blue lines that I'm tracing
20 out here. And just to orient to the map also, I
21 color-coded the transmission lines in red and the
22 generator tie lines in blue, just to differentiate
23 between lines that are just connecting generators to both
24 Hassayampa and Palo Verde, as opposed to transmission
25 lines that leave Hassayampa and Palo Verde switchyards to

1 the greater system.

2 And as you can see, Hassayampa connects to the
3 Palo Verde Switchyard via three 500kV lines. So those
4 switchyards are closely tied together. And then overall,
5 those two switchyards make up a very important
6 transmission hub in the western grid. They have -- there
7 are nine 500kV lines that leave those two switchyards,
8 and then between both of them there's over 10,000
9 megawatts of various types of generation connected there,
10 and that's nuclear, natural gas, solar, battery storage,
11 all -- all connected there.

12 Q. Mr. Spitzkoff, you said two switchyards, and you
13 have I think nine lines that you believe -- I'm sorry,
14 that I believe I heard you say that emanate, what are the
15 names of the two switchyards?

16 A. (MR. SPITZKOFF) The Hassayampa Switchyard and
17 the Palo Verde Switchyard. This is the Palo Verde
18 Switchyard. This is the Hassayampa Switchyard. And
19 relative to this discussion, the Redhawk Switchyard is
20 connected to Hassayampa. And Hassayampa -- that's how
21 it's connected to the larger grid.

22 CHMN STAFFORD: Member Fontes, do you have
23 a question?

24 MEMBER FONTES: Yes. I just wanted to ask
25 him if he could add some additional detail on this.

1 And I always appreciate your participation,
2 so thank you for being here again. Can you talk to who
3 owns the physical structures on those circuits? And then
4 on the circuits that the power's going to be exported for
5 specifically on the peaker plant, that circuit, who owns
6 the capacity? Because, as you probably can articulate
7 better than me, sometimes capacity rights on the circuit
8 are shared, and I just want to make sure we have a clear
9 understanding of how that's going to be exported for the
10 record.

11 Appreciate you.

12 MR. SPITZKOFF: Sure. I'll go into that
13 explanation here. As far as the first part of your
14 question, who -- who owns the facility. So APS owns the
15 Redhawk Switchyard and the two tie lines that go to
16 Hassayampa. The various lines that leave Hassayampa, the
17 transmission lines, have a number of different owners.
18 Almost all of them, or probably all of them, actually,
19 are jointly owned by many different entities, APS, SRP,
20 California utilities, a whole host of entities own
21 various parts of all of the nine transmission lines out
22 here. SRP is the operating agent for Hassayampa
23 Switchyard.

24 So -- and then I think you asked about
25 capacity. Between the two tie lines that go from Redhawk

1 to Hassayampa have more than enough capacity for the
2 addition of the Redhawk expansion generation, the
3 existing Redhawk gas peaker plants. And there's also a
4 solar plant that's connected to the Redhawk Switchyard
5 too.

6 So all -- all of those plants, there's more
7 than enough capacity in the tie line to get to Hassayampa
8 for all of that generation. And then between all of the
9 transmission that leaves Hassayampa and Palo Verde,
10 there's transmission to get that generation to where APS
11 needs it to go.

12 MEMBER FONTES: Is that going to cross a
13 single circuit up into Palo Verde or a double circuit as
14 it's shown on the right?

15 MR. SPITZKOFF: There -- so from -- from
16 Redhawk, it's two individual lines that go to Hassayampa.
17 And then Hassayampa has four transmission lines that
18 leave Hassayampa itself, and then three lines that go to
19 Palo Verde. And then Palo Verde has an additional set of
20 lines, probably five additional 500kV lines. All of
21 those 500kV lines are single circuit.

22 MEMBER FONTES: So it can go out a number
23 of circuits, it's not limited to one circuit? If you had
24 an outage on one circuit, you could still operate the
25 peaker plant across other circuits?

1 MR. SPITZKOFF: Yes, we can operate the
2 peaker plants, the existing plants, yes.

3 MEMBER FONTES: Great. I appreciate that.
4 That's exactly what I needed.

5 Thank you.

6 BY MS. BENALLY:

7 Q. Mr. Spitzkoff, thank you for walking through the
8 existing transmission system. APS will have to connect
9 the energy that's generated from the expansion project to
10 the electric grid; is that right?

11 A. (MR. SPITZKOFF) That is correct.

12 Q. Would you describe the facilities that are
13 required to execute that interconnection?

14 A. (MR. SPITZKOFF) I will.

15 Mr. Van Allen laid some of the groundwork for
16 this. I'll talk from the slide on the right. As you saw
17 from Mr. Van Allen's slides, you could see the eight
18 additional peaker generators, the LM6000s lined up on the
19 right side of the graphic there. You could see in front
20 of them each -- each pair, two of them connect to a
21 generator step-up transformer. That takes it on the high
22 side of that.

23 This is the 230 collector, that is represented
24 by the line running in front of all those plants. Then
25 from that 230 collector, it goes to the step-up

1 transformer. That's from 230kV, 230,000 volts, to the
2 500kV. And to connect it to the Redhawk Switchyard, we
3 do have to expand the existing Redhawk Switchyard down
4 into this area, and that's shown by the solid blue line.

5 To add one bay for that connection, the
6 switchyard -- the existing switchyard up here, in order
7 to connect the plant we have to add the -- an additional
8 bay out here. But what you can also see are the dashed
9 lines that are -- that are shown here. That just shows
10 the future layout as we plan a new switchyard or an
11 expansion of an existing switchyard, we like to take a
12 guess at what the future use of the switchyard is, what
13 the future size would be, so we can most efficiently lay
14 that out.

15 So you can see it here. It's basically a mirror
16 image of what's on top. The top has eight terminations.
17 This expansion is really the -- will end up being the
18 same size. So we just need the first bay for this
19 project, but it lays out the future growth that could --
20 if we have future transmission lines that need to connect
21 here or future generation interconnection requests, you
22 could see there's room where we can add on the additional
23 bays when needed in the future.

24 Q. And, Mr. Spitzkoff, the hatched area is
25 identified as the switchyard siting area. Am I correct

1 in stating that that whole area's identified as the
2 siting area to allow design and engineering flexibility
3 and that the switchyard could go anywhere within that
4 location?

5 A. (MR. SPITZKOFF) Yes. So there's two reasons for
6 that -- for the hashed area being a little bit larger
7 than what you see covering the blue lines here. One is
8 when you get into the specific engineering of the actual
9 site, you get into the soil conditions, the geotechnic
10 studies, what you -- the placement of -- you see the
11 facilities here, well, it may end up having to be shifted
12 further to the south a little bit, because of whatever
13 existing conditions might be out there.

14 The other reason is, while we would plan this
15 for these eight new terminations, in the future there
16 could end up being more terminations that request
17 connection here. So if we don't have to push down for
18 engineering reasons, this actually leaves a little bit
19 more room for even more bays in the future. As long as
20 our reliability studies show that we can handle
21 additional interconnection in a reliable manner, it
22 provides that room.

23 Q. I believe now you're ready to move to the next
24 topic, which is regarding the Reliability Study; is that
25 right?

1 A. Yes.

2 CHMN STAFFORD: One second.

3 Member Fontes, you have your hand raised?

4 MEMBER FONTES: Yes, sir.

5 I -- just a couple of clarifications on my
6 end. So is this cost associated with this going to be
7 covered by the peaker plant is question number one? And
8 then, two, assuming your colleagues filed for an
9 interconnection request, was this a series or cluster and
10 where are they at in terms of phases, phase I, do they
11 have a systems impact study, phase II, or do we actually
12 have costs in a phase III at this point?

13 MR. SPITZKOFF: Certainly. Member Fontes,
14 on your second question, I will get into much greater
15 detail on the interconnection requests and current
16 status, so I'll hold that answer for a minute.

17 The first question on the costs, the --
18 what you see in the solid blue, so the bus section
19 breakers, the bus extension, and the new bay, all -- that
20 part of it would be called network upgrades. So that's
21 handled by the transmission provider. And that's
22 standard per the FERC interconnection process.

23 The actual gen-tie line, the portion that's
24 the gen-tie, so from this portion all the way back to the
25 facility is sole cost of the generation project. So

1 the -- the Redhawk Expansion Project would pay that cost,
2 and it's not part of the overall network cost.

3 MEMBER FONTES: So just when we get to the
4 overnight construction costs, I just want to know if that
5 cost is included in the peaker plant for total
6 construction on the EPC. Just so we capture that for the
7 record. Thanks.

8 BY MS. BENALLY:

9 Q. When APS filed its application for the
10 certificate that's before the Committee today, were we
11 required to perform a Power Flow Study?

12 A. (MR. SPITZKOFF) Yes.

13 Q. And did APS conduct that study?

14 A. (MR. SPITZKOFF) The APS generation team
15 onboarded a consulting firm to perform a Reliability
16 Study.

17 Q. And was that included in APS's 90-day filing for
18 this project?

19 A. (MR. SPITZKOFF) Yes, it was.

20 Q. So can you walk us through the Reliability Study
21 that was performed?

22 A. (MR. SPITZKOFF) I can. So that study was
23 performed by a consulting firm hired by APS to basically
24 mimic a full-blown interconnection study. So it
25 performed a reliability analysis that covered two

1 different types of analysis. First part was steady state
2 analysis, so that's a thermal and voltage assessment. Is
3 the addition of this project going to overload any wires
4 or create any bus voltage violations.

5 The second part of that study is called a
6 transient stability analysis, and that studies the impact
7 of the grid in the immediate aftermath of a system event.
8 So it's a very short-term assessment of the reliability
9 of the system. The steady state is more once -- once the
10 system reaches a new equilibrium. Both phases of those
11 studies showed no adverse impacts and no -- and, hence,
12 no network upgrades that would be required due to the
13 addition of this expansion project.

14 MEMBER GOLD: Mr. Chairman?

15 CHMN STAFFORD: Yes, Member Gold.

16 MEMBER GOLD: When you say a system event,
17 Mr. Spitzkoff, what do you mean?

18 MR. SPITZKOFF: Sure. If there is a
19 breaker failure, a transformer failure, if there is a
20 line-to-ground event for -- and what that means is one
21 example is if a tree contacts a wire and that creates a
22 path to ground, so that's a fault in the system. And
23 there could be a number of events that would create that.
24 So any time there's a fault in the system, we do an
25 assessment of the response of the system to make sure the

1 response is within the reliability criteria.

2 MEMBER GOLD: So a lightning strike?

3 MR. SPITZKOFF: Lightning strike could be a
4 triggering event. Generally, the system has protection
5 against major effects of a lightning strike, so each --
6 our transmission lines, especially extra-high-voltage
7 generation lines have static wire on top of the line, so
8 if you're driving past a large transmission line,
9 sometimes you'll see a really -- a much smaller line at
10 the very top of the --

11 MEMBER GOLD: That's the fiber optic cable?

12 MR. SPITZKOFF: Fib- -- but it also doubles
13 as a static -- a static line for protection against
14 things such as lightning strikes.

15 MEMBER GOLD: How does it protect against a
16 lightning strike, it's a non-conductor?

17 MR. SPITZKOFF: That's one step beyond what
18 I can explain to you.

19 MEMBER GOLD: Okay. So let's assume the
20 lightning strike hits, oh, a worst possible place and
21 burns out one of your switches, what do you do?

22 MR. SPITZKOFF: The line would come out of
23 service, the switch would be replaced, and the line would
24 be put back in service. And the way we operate our
25 system and study our system to operate is to ensure what

1 we call is a N minus 1 reliability. So we can lose any
2 one element without losing generation or load as a result
3 of that.

4 MEMBER GOLD: So you have backup switches.
5 How long does it take to replace a switch?

6 MR. SPITZKOFF: I'd say, depending on the
7 location, it could take hours to a day or two.

8 MEMBER GOLD: How many switches do you have
9 in this plant?

10 MR. SPITZKOFF: In this -- I don't know off
11 the top of my head. We generally have a switch on either
12 side of all breakers. We usually have a line switch.
13 The system overall has a lot of switches.

14 MEMBER GOLD: Okay. But the breakers are
15 designed to stop a switch from getting burned out?

16 MR. SPITZKOFF: No.

17 MEMBER GOLD: No? Okay. What are the
18 breakers designed for?

19 MR. SPITZKOFF: The breakers are designed
20 to open up if the relays that are assigned to that
21 breaker identify an abnormal system condition, which says
22 there's something going on in the system, there's too
23 much current, too much voltage, whatever the -- they're
24 measuring. And the breakers open up to isolate wherever
25 that fault might be to limit the event to either no

1 equipment having long-lasting damage or just a small -- a
2 footprint, a single element as possible.

3 MEMBER GOLD: So these are protected like
4 circuit breakers in a house?

5 MR. SPITZKOFF: Yes.

6 MEMBER GOLD: They trip and you can
7 manually turn them back on again?

8 MR. SPITZKOFF: Yes.

9 MEMBER GOLD: And they're designed to
10 protect against lightning strikes and trees hitting poles
11 and creating all sorts of weird stuff?

12 BY MS. BENALLY:

13 Q. Mr. Spitzkoff, I'm sorry to interrupt you, are
14 you considering any confidentiality requirements relative
15 to the responses that you're providing?

16 A. (MR. SPITZKOFF) These are general information at
17 the moment.

18 Q. Okay. Thank you. Sorry for the interruption.

19 MEMBER GOLD: Ms. --

20 MS. BENALLY: Benally.

21 MEMBER GOLD: -- Benally. Then I'll ask
22 you a question. Are you talking at the classified level
23 or the unclassified?

24 MS. BENALLY: There are requirements that
25 are set forth by the Federal Energy Regulatory Commission

1 that describes information that is considered critical
2 electric infrastructure information, so it was in that
3 regard that I was asking Mr. Spitzkoff to evaluate his
4 response.

5 MEMBER GOLD: So there is a system above
6 the regular -- the standard circuit breaker system that
7 we're discussing right now?

8 MS. BENALLY: I think --

9 MEMBER GOLD: You don't have to name it,
10 just is there one?

11 MS. BENALLY: Yes.

12 MEMBER GOLD: Thank you.

13 CHMN STAFFORD: Member Fontes, you had your
14 hand raised?

15 MEMBER FONTES: Yes, Mr. Chairman.

16 If we could bring it back towards
17 applicability here. I think we're asking in terms of
18 what happened at the WAPA Test Track facility, and I
19 think that was a lightning strike to the transformer, not
20 the circuit breaker.

21 So to educate and inform here, can you
22 share how the design's going to take into account --
23 modeling takes that into account as a lesson learned
24 against lightning strike protections on transformers.
25 And then, number two, can you educate me on your

1 modeling, is it the same for thermal energy storage and
2 renewables with respect to these -- the analysis you're
3 doing there that you just showed on that slide?

4 MR. SPITZKOFF: So on your second question,
5 studies are basically independent of the fuel source type
6 for the generator, from a thermal and voltage
7 perspective. Where the differences will usually come in
8 is in the transient domain or some of the other
9 reliability studies that we do, because there's a
10 difference between the behavior of inverter-based
11 generation, as compared to spinning mass generation,
12 thermal generation.

13 But we take into account -- our studies
14 take into account all relevant -- we model each project
15 specifically, so if it's an inverter-based generation,
16 solar, batteries, wind, we model it accordingly. And
17 then same thing for a thermal plant.

18 The first part of your question was about
19 protection of transformers from lightning strikes, I
20 believe?

21 MEMBER FONTES: Correct. Based on the test
22 track, the WAPA one that burned down due to a lightning
23 strike at the transformer.

24 MR. SPITZKOFF: I'm familiar with the
25 transformer and the failure they had. I am not familiar

1 with what the cause of that was. I haven't personally
2 seen a report that says it was due to a lightning strike
3 or not. And I -- I would say just the only thing I can
4 provide is, in general, our substations and switchyards
5 are designed with lightning protection in mind.

6 Now, when it comes to something like
7 lightning, you cannot protect anything 100 percent. So
8 is it -- is it possible lightning can strike a specific
9 piece of equipment? That's certainly possible. There
10 are some pieces of equipment that have their own
11 individual protection, but overall the switchyards have
12 lightning protection to try to minimize any adverse
13 effects as much as possible.

14 BY MS. BENALLY:

15 Q. Mr. Spitzkoff --

16 A. (MR. SPITZKOFF) Yes.

17 Q. -- did you want to wrap up this part of your
18 testimony by just stating what the results of the
19 Reliability Study found?

20 A. (MR. SPITZKOFF) Yes, the Reliability Study found
21 no adverse impacts in the results and no network upgrades
22 required.

23 Q. Okay. Thank you.

24 So now I think we're moving to the next topic in
25 your testimony, which is related to the generator

1 interconnection request. And there are two, I believe,
2 that you'll be addressing. Let's start with the APS
3 generation interconnection request, if you'd walk us
4 through that.

5 A. (MR. SPITZKOFF) Yes, I can.

6 Q. Thank you.

7 A. (MR. SPITZKOFF) So the APS generation team filed
8 an interconnection request for the Redhawk Expansion
9 Project. And they filed that request both to APS and to
10 SRP. And I'll talk about the SRP request after the APS
11 one. But the request was filed to APS because the
12 connection of this project is going to be at the Redhawk
13 Switchyard. And that switchyard is owned and operated by
14 APS. So that's the point of interconnection. Hence,
15 that's why an interconnection request is required to APS.

16 And just for a point of reference, and I think a
17 question came up earlier, even APS in the capacity of
18 building a generation ourselves or contracting for what
19 would ultimately be an APS-owned generation, has to file
20 an interconnection request. The same as any other entity
21 requesting interconnection of new generation. So it's
22 a -- the generation interconnection process is a
23 nondiscriminatory process and requires APS projects to go
24 through the same process.

25 So this project, in particular, there --

1 this -- it actually is covered under two interconnection
2 requests. And I'll go into why two requests in a second.
3 But the first request is covered under Q519 in the APS
4 generation queue, and it's for 350 megawatts.

5 And that request is currently being studied.
6 The phase I results of that study have been completed and
7 delivered to the customer. And I'll -- in my next
8 slides, I'll talk a little bit more about what the phase
9 I results covered and showed.

10 But the second request that I had mentioned is
11 covered by Q550, and you can see it's 43 megawatts. The
12 reason for the two different requests, when the first
13 request was made, the APS generation team was looking at
14 350 megawatts as what the output for this project would
15 be. So they put the request in at that level.

16 Excuse me. At -- as the project developed and
17 the specific generators that were going to be used were
18 determined, and the different aspects of the project, it
19 showed that the largest output could be approximately
20 393 megawatts. So, therefore, in the FERC
21 interconnection process, an accepted and valid
22 interconnection request cannot be increased in size, so
23 the 350 was capped at 350 for that request. So the
24 incremental amount has to be covered on a -- under a
25 separate request. And that's why you see the Q550

1 request for the 43 megawatts, which covers that
2 incremental amount. So that's why two different requests
3 into the APS interconnection queue.

4 Q. So Q519 and Q550 added together are the
5 393 megawatts for the power plant; is that correct?

6 A. (MR. SPITZKOFF) Yeah.

7 Q. And they're being studied in two different
8 clusters?

9 A. (MR. SPITZKOFF) Yes.

10 CHMN STAFFORD: Member Fontes, you have a
11 question?

12 MEMBER FONTES: Yes, Mr. Chairman.

13 When was Q519 filed originally, month and
14 year?

15 MR. SPITZKOFF: I wrote that down. Give me
16 one second.

17 MEMBER FONTES: And, for clarity, Q550.

18 MR. SPITZKOFF: So I have -- I have it for
19 519. And that application was made March 30th, 2023.
20 I -- I don't have Q550, but that is in the 2024 cluster,
21 so that had to come in between April 1st of 2024 and
22 March 5th -- and May 15th of 2024. There's a 45-day
23 window.

24 MEMBER FONTES: Yes, sir.

25 Can counsel or somebody remind me of when

1 the award was made on this, for the final selection for
2 the Redhawk Expansion?

3 MR. DERSTINE: Mr. Eugenis, it sounds like
4 that's a question that's probably going to come to you.

5 MR. EUGENIS: Member Fontes, we're still in
6 the midst of our contract negotiations as part of this.
7 The project was bid as part of the 2023 All-Source RFP,
8 and those bids were submitted, I believe, Q3 of last
9 year.

10 MEMBER FONTES: So Q3 of '23 and when did
11 you get to the short list?

12 MR. EUGENIS: Member Fontes, I'd have to
13 look up that date. Give me just a couple minutes.

14 MR. VAN ALLEN: Member Fontes, I'd like to
15 add to the record, we know that the interconnection
16 process takes time, and historically it was first-come,
17 first-serve basis. In anticipation of the Redhawk
18 project possibly being a project that got selected, the
19 decision was made to submit a request, and we did that
20 without knowing whether a project would be viable, right.

21 So you can withdraw a request at any time.
22 And we know certain off-ramps that exist before certain
23 dollars are obligated. So we proactively do that to
24 ensure we can deliver our project on time and deliver
25 certainty for our customers.

1 MEMBER FONTES: I really appreciate that,
2 Mr. Van Allen. I'm just trying to get a sense of when
3 the first interconnection was with respect to lead times
4 in your bid solution and when your colleagues put you on
5 the short list and stuff, for the record. So that's
6 where I'm going with this, not attempting to show any
7 kind of deficiencies, just getting it into the record, so
8 we have that sequence there since they're in different
9 parts of the presentation.

10 Thank you.

11 BY MS. BENALLY:

12 Q. Mr. Spitzkoff, I think I got you a little
13 off-track or ahead of your testimony, so I appreciate you
14 walking through why APS filed two interconnection
15 requests. I think we've wrapped up that piece, along
16 with APS being required to file an interconnection
17 request as a part of non-discriminatory practices that
18 are set forth in the FERC requirements.

19 So with that established, can you now walk us
20 through the status of the APS interconnection request?

21 A. (MR. SPITZKOFF) Yes, I can.

22 Q. Thank you.

23 A. (MR. SPITZKOFF) The APS interconnection request
24 for -- that's covered under 519, Q519, I mentioned a
25 second ago, the phase I cluster study report for that has

1 been filed. And the phase I study covers the thermal and
2 voltage analysis. That was delivered about a month ago
3 to the customer. The results of that assessment showed
4 that there were no adverse reliability impacts to the
5 system, with the addition of the Redhawk Expansion
6 Project. And no reliability network upgrades were
7 identified.

8 The phase I -- sorry, the phase II cluster study
9 for Q519 is currently underway. It started once the
10 phase I report was done, and results were presented to
11 the customer. The estimated completion of the phase II
12 is Q4, later this year. And that part of the study will
13 cover the transient stability, the power factor, and
14 short-circuit analysis. And that will close out the
15 reliability studies for the interconnection that -- in
16 the APS queue. So it's broken into two phases, phase I
17 and phase II.

18 Q. So the next slide, I believe, is related to the
19 SRP interconnection. And I know that Staff filed a
20 letter in docket encouraging the Committee to ask
21 questions about the current status of the SRP
22 interconnection. Would you walk us through that?

23 A. (MR. SPITZKOFF) Yes. And before I get into
24 that, so Staff did -- did mention asking about the SRP
25 interconnection. They did not ask about the APS, because

1 we did provide the phase I report to Staff, and so they
2 had the ability to review that already.

3 For the SRP interconnection, that -- that study
4 was delivered to APS this past Friday. I did take some
5 time over the weekend to review, and it's in draft form
6 at the moment, but I did take time to review, you know,
7 what the high-level results showed. And I'll try to
8 provide a summary of what that showed. And, really, the
9 results did not show anything that would not be expected.

10 It -- sorry, before I get into that, in the SRP
11 queue, this project was one project of 12 in their
12 cluster 24. So it was a total of 12 projects that this
13 got studied with, and all of those projects added up to
14 close to 3,000 megawatts. So it was part of a larger
15 cluster. And what the results showed is, as a
16 collective, that that cluster has to advance one already
17 planned 230kV line upgrade that SRP was already planning
18 to do. And it showed it needed to be advanced by one
19 year.

20 So relative to the Redhawk Expansion Project, it
21 was that one, call it network upgrade, really network
22 upgrade advancement is really what it was, and then it
23 also had its -- its relevant contribution to the Palo
24 Verde/Hassayampa short-circuit improvements.

25 And to explain what that is, at Palo Verde and

1 Hassayampa, there's been projects going on at those two
2 switchyards for a number of years broken into three
3 different phases, to address the short-circuit
4 contributions by all of the lines, and all of the
5 generation that you saw that was connected there.

6 So all generator and transmission
7 interconnections in the state of Arizona and actually
8 even into Southern California are reviewed by SRP as an
9 affected system, to determine its contribution to the
10 short-circuit currents at the Hassayampa/Palo Verde hub.
11 And any project that is over a threshold gets assigned a
12 per amp cost.

13 So, you know, it's known that most projects
14 connecting into the 500kV grid of a certain size and
15 relative proximity to Palo Verde/Hassayampa are going to
16 have a share of that phase III upgrade requirements. But
17 that was generally the extent of what the SRP studies
18 have shown.

19 Q. Anything further you want to cover on the SRP
20 interconnection status?

21 A. (MR. SPITZKOFF) Not really. Like I said, it's
22 still in draft form. It will likely be finalized in the
23 next three to four weeks. SRP has to have a results
24 meeting with each -- each of the 12 interconnection
25 customers, make any revisions or corrections that might

1 be identified, and then finalize the study.

2 Q. Okay. Thank you.

3 So let me take you back to Staff's letter, it's
4 marked as APS-33 --

5 CHMN STAFFORD: Before you get to that, I
6 have a real quick question.

7 MS. BENALLY: Yes.

8 CHMN STAFFORD: So you said there's 3,000
9 megawatts wanting to connect to the Hassayampa
10 Switchyard?

11 MR. SPITZKOFF: It's more than just the
12 Hassayampa Switchyard. Their cluster encompassed a wide
13 area, so it's projects at the Hassayampa Switchyard. I
14 don't remember all of them, but it could have been
15 Hassayampa Switchyard, the Kyrene Switchyard, Rudd
16 Switchyard or in various 500kV lines that SRP operates,
17 so it was more than just the Hassayampa Switchyard.

18 CHMN STAFFORD: Okay.

19 MR. SPITZKOFF: But they were all in one
20 cluster study.

21 CHMN STAFFORD: Okay. Because sometimes I
22 think clusters get broken down different ways. I seem to
23 recall that APS tends to do it by geographic area and the
24 switchyard that they're going to be tying into or
25 substation they're going to be tying into, as opposed

1 to -- this one sounds like it's casting a much broader
2 net and covering a much larger area in multiple
3 switchyards and substations.

4 MR. SPITZKOFF: SRP did break it -- I can't
5 tell you their methodology exactly -- but generally, the
6 projects within this particular cluster were in -- they
7 were electrically relevant to each other, so geo- -- we
8 say, on APS's side, we break our clusters into
9 sub-clusters based on geography. It's geography plus.

10 As an example, we -- a project at the
11 Cholla Switchyard which is, you know, in Northeast
12 Arizona, would be in the same cluster as a project closer
13 to Saguaro, which is in the southeastern area, because
14 there's a 500kV line that connects them, so there's some
15 relevancy there. And SRP sort of uses that same general
16 principle. So they probably covered an area from Palo
17 Verde on the west edge of their bubble to, I don't know
18 if they went -- they definitely went to Kyrene, I
19 don't -- I can't recall if they went all the way out to
20 Pinal Central or if that was a second group, but our
21 methodologies are not drastically different.

22 CHMN STAFFORD: Okay. Yeah, just wanted to
23 make sure it's clear that it wasn't over 3,000 megawatts
24 trying to get into this Hassayampa Switchyard. So, okay,
25 it's not.

1 MR. SPITZKOFF: Yes.

2 BY MS. BENALLY:

3 Q. So APS-33 is the letter that was filed by Staff
4 in response to the typical letter that the Chairman
5 sends. Can you quickly summarize Staff's letter?

6 A. (MR. SPITZKOFF) I'll try.

7 Q. Or I can state to you what they've indicated and
8 you can confirm it is consistent with APS's results. So
9 Staff indicated that the studies that were provided or
10 performed by APS indicate that "The proposed expansion
11 project could improve reliability, safety of the grid,
12 and delivery of power in Arizona," and that's consistent
13 with the APS studies; is that right?

14 A. (MR. SPITZKOFF) That's correct.

15 Q. All right. So I think we're now to the point
16 where you want to summarize your testimony?

17 A. (MR. SPITZKOFF) Well, I think Staff's letter
18 summarizes my testimony.

19 So all of the reliability studies completed to
20 date have showed no significant adverse reliability
21 impacts to connecting this project to the grid, and I
22 really think that's the big take-away.

23 Q. Okay. Thank you.

24 That concludes Mr. Spitzkoff's testimony.

25 MR. EUGENIS: Ms. Benally, before we move

1 on to the next panel, there was a couple of questions
2 that have come up that I've gotten information for. Is
3 now a good time to cover those or would you like to do
4 that another time?

5 MS. BENALLY: Mr. Eugenis, why don't you go
6 ahead and answer them. Thank you.

7 MR. EUGENIS: Thank you, Mrs. Benally.

8 A couple questions that we had received
9 that I'm going to go through quickly here. Earlier it
10 was asked how many projects that we had signed from the
11 2023 All-Source RFP. As of today's date, that's nine
12 projects that we've signed from that RFP solicitation.
13 There was also a question about the qualifications of our
14 independent monitor, Merrimack. A quick search on them
15 shows that they've been in the industry and formed since
16 1991. They've done over 100 different RFPs in a number
17 of different states in the United States, with several
18 members of their team participating in those different
19 RFPs. That actually comes -- or Merrimack comes from an
20 approved list of independent monitors from the ACC as
21 well.

22 I believe we also had a question about the
23 overnight cost of the project, as calculated in a dollar
24 per kW fashion. Some quick math on our side shows that
25 that's approximately \$1,116 per kW for the anticipated

1 cost of the project. And then, finally, I believe we had
2 a question on when the project was short listed as part
3 of the 2023 All-Source RFP. That short listing took
4 place in late December of 2023 for the '27 and '28
5 in-service projects.

6 Thank you for the time, Mrs. Benally.

7 CHMN STAFFORD: Member Fontes, you have a
8 question?

9 MEMBER FONTES: That overnight construction
10 cost, and this is a related question, does that include
11 the gen-tie?

12 MR. EUGENIS: Member Fontes, yes, it does.

13 MEMBER FONTES: On the other nine projects,
14 where were they at on the interconnect? Did they have to
15 file a subsequent or did they have a single interconnect?
16 And how long had they been, on an average intermediate
17 basis, in the queue prior to their selection? Just out
18 of curiosity, in terms of comparison.

19 MR. EUGENIS: Member Fontes, I don't have
20 that information in front of me. I think that those
21 interconnection timelines are probably pretty varied
22 between those projects. Just depending on the developer
23 involved and how long that they've been working on the
24 development of that specific facility.

25 MEMBER FONTES: Thank you.

1 MS. BENALLY: With the close of
2 Mr. Spitzkoff's testimony, I think we're ready to move on
3 to the next panel, our slate of environmental witnesses.

4 MEMBER MERCER: Mr. Chairman?

5 CHMN STAFFORD: Yes, Member Mercer.

6 MEMBER MERCER: I just have a
7 clarification. So on the Bella Project, we learned that
8 the Bella Project, they're building this facility, but
9 it's going to be run and operated by SRP; is that
10 correct, if you remember?

11 MR. SPITZKOFF: Yeah, I didn't hear the
12 whole testimony of that project, but I think I caught
13 that portion. And it was the switchyard for there --
14 where they're interconnecting will be operated by SRP.
15 It will be owned by the joint owners of the current line,
16 including SRP, but SRP is the operator for that
17 switchyard.

18 MEMBER MERCER: Okay. So what's the case
19 in this project, blackhawk [sic]?

20 MR. SPITZKOFF: So this project is
21 connecting to the Redhawk Switchyard, which is owned and
22 operated by APS.

23 MEMBER MERCER: And then who -- I'm
24 sorry -- so who owns the Palo Verde, and I know you --
25 the way I pronounce it is Hassayampa.

1 MR. SPITZKOFF: Hassayampa, yes.

2 MEMBER MERCER: So who owns those -- those
3 other plants.

4 MR. SPITZKOFF: There are -- so actually
5 who owns the Palo Verde Plant is a bit different mix than
6 who owns the switchyard. And it's six, seven -- seven
7 different owners.

8 MEMBER MERCER: Okay.

9 MR. SPITZKOFF: I'm not going to be able to
10 name all of them for you. And Hassayampa is much
11 weirder. I think it's technically the same owners, but
12 then you also have different cost-responsible entities,
13 which are the natural gas plants. That was the creation
14 for the need of developing Hassayampa, but it's -- it's
15 the same seven owners that are the actual owners of
16 Hassayampa. And SRP operates the switch -- both of those
17 switchyards.

18 MEMBER MERCER: Okay. Thank you.

19 CHMN STAFFORD: Both of what switchyards?

20 MR. SPITZKOFF: Hassayampa and Palo Verde
21 switchyards.

22 CHMN STAFFORD: Okay. Okay.

23 MR. SPITZKOFF: APS operates the plant, but
24 SRP operates the Palo Verde Switchyard.

25 CHMN STAFFORD: Okay. And then APS owns

1 and operates the Redhawk Switchyard?

2 MR. SPITZKOFF: Yes.

3 MEMBER MERCER: Thank you.

4 CHMN STAFFORD: All right. Well, you're
5 ready to move to the next panel?

6 MS. BENALLY: That is correct.

7 CHMN STAFFORD: And that will be Carlton,
8 Nicholls, Turner, and Duncan, or is it some combination
9 of those?

10 MS. BENALLY: It's the first three that you
11 listed.

12 CHMN STAFFORD: Okay. All right. Well, it
13 seems like now would be a good time to take a break, so
14 you can switch the panels out. I'm sure the court
15 reporter is ready for a rest. It seems like there were a
16 lot of words in the last -- it hasn't been 90 minutes,
17 but it's been a lot of typing.

18 So with that, let's take a 15-minute
19 recess.

20 (Recessed from 2:17 p.m. until 2:42 p.m.)

21 CHMN STAFFORD: All right. Let's go back
22 on the record.

23 Mr. Derstine, I believe you're about to
24 call your next panel. You can call them and then I will
25 swear them in. I believe Mr. Turner has already been

1 sworn.

2 MR. DERSTINE: That's right. Okay.

3 All right. So we still have Mr. Van Allen
4 there on the end. I think we largely have concluded his
5 testimony, but he's there just for backup in case we get
6 into some sort of operational issues that maybe he can
7 address. But we need to swear in Ms. Carlton and
8 Mr. Nicholls.

9 So, Ms. Carlton, will you state your name
10 and address for the record.

11 MS. CARLTON: Anne Carlton, 400 North Fifth
12 Street, Phoenix, Arizona 85004.

13 CHMN STAFFORD: And do you prefer an oath
14 or affirmation?

15 MS. CARLTON: Affirmation.

16 (Anne Carlton was duly affirmed by
17 the Chairman.)

18 CHMN STAFFORD: Mr. Nicholls, oath or
19 affirmation?

20 MR. NICHOLLS: Affirmation.

21 (Mark Nicholls was duly affirmed by
22 the Chairman.)

23 //

24 //

25 //

1 ANNE CARLTON and MARK NICHOLLS,
2 called as witnesses as a panel on behalf of Applicant,
3 having been previously affirmed by the Chairman
4 to speak the truth and nothing but the truth, were
5 examined and testified as follows:

6

7 DIRECT EXAMINATION

8 BY MR. DERSTINE:

9 Q. And, just for the record, do you want to state
10 your full name and your business address, Mr. Nicholls?

11 A. (MR. NICHOLLS) Certainly. My name is Mark
12 Nicholls. My business address is 400 East Van Buren
13 Street, Suite 545, Phoenix, Arizona. And I work for a
14 company named Haley & Aldrich.

15 Q. All right. Ms. Carlton, let's talk air permits.
16 Before we do that, let's have you tell us about yourself,
17 your education and your background.

18 A. (MS. CARLTON) Sure. I have a bachelor's of
19 science in human biology and environment that I received
20 through Arizona State University. I have 18 years of
21 experience in environmental with an emphasis on air
22 quality. 12 years has been in the utility industry with
23 APS, Arizona Public Service. I began my career with
24 Arizona Public Service as an air consultant working for
25 our environmental support organization, primarily

1 responsible for air permitting. I moved into a section
2 leader role over environmental field operations, which is
3 everything outside of the power plant, so T&D, primarily.

4 And then most currently, for the last five
5 years, I have been the manager of environmental support,
6 where I oversee the air, waste, water, remediation, and a
7 sprinkle of natural resources teams, who are responsible
8 for things like regulatory changes, high-level
9 permitting, as well as high-level reporting obligations.

10 Q. Okay. You're going to cover primarily the air
11 permitting process required for the expansion project,
12 but I think you're going to start us with a discussion
13 about the existing air permit for the Redhawk Plant; is
14 that right?

15 A. (MS. CARLTON) That is correct.

16 So my testimony today will include -- oh, sorry,
17 I'm learning how to use the remotes. Here we go. I'm
18 going to be going over the current Redhawk Power Plant
19 permit, the air quality permitting process, our revision
20 to our permit, and then the permit issuance. And if
21 you'll notice, on the right-hand side of the slide
22 because I know this isn't a typical subject for this type
23 of hearing, I've included a little bit of a road map for
24 you. And so as we progress through the slides, you'll
25 always see one of these dots, and so you'll have an idea

1 of where we're at in the presentation.

2 Q. Did you do that specifically for me because I
3 kept getting lost?

4 A. (MS. CARLTON) That is correct.

5 Q. Fair enough. All right. Start us off with the
6 Title V permit for the existing plant?

7 A. (MS. CARLTON) Perfect. So the Redhawk Power
8 Plant currently operates under what's called a Title V
9 permit. That's a type of permit that's required by the
10 Clean Air Act, which is proctored by the EPA. It's
11 technically an operating permit, and we'll talk about
12 that in a little more detail in just a little bit. The
13 permit was initially issued in the year 2000, in
14 February, and it was issued by Maricopa County Air
15 Quality Department. They are the delegated permitting
16 authority for this type of permit within the region,
17 essentially.

18 I think what's most important about this type of
19 permit is that it requires you to comply with both
20 operational, as well as emission-related requirements.
21 These requirements found within your air permit are
22 enforceable, at both the local as well as the federal
23 level, in most cases. We are required to have
24 inspections at our facilities by Maricopa County. EPA
25 could show up to our facilities as well. We are required

1 to monitor, so when we have things like emission limits
2 in our permit, we're also required to monitor those
3 emissions.

4 And, actually, utilities, specifically electric
5 generating units, have what's called continuous emission
6 monitoring systems, and they're not completely common
7 throughout industries, but they're extremely common in
8 our industry. And, essentially, it's probes that are
9 literally plugged into these units that measure emissions
10 on a minute-by-minute basis. And the minute-by-minute
11 data is utilized to show that we are in compliance with
12 things like our permit conditions, whether they're
13 short-term limits or long-term limits.

14 Other robust requirements within these permits
15 are things like performance testing. We'll actually have
16 third-party vendors come in, and they'll verify that our
17 continuous emission monitoring systems are functioning in
18 the way that we said they should be. And so these
19 permits are -- are quite restrictive, both from an
20 operational standpoint, but also from an emissions
21 standpoint.

22 CHMN STAFFORD: Member Hill?

23 MEMBER HILL: Thank you, Ms. Carlton. Have
24 you ever violated your air quality permit on this site or
25 across the state, like, what's the track record on these

1 things?

2 MS. CARLTON: So I had actually done a
3 research of what we've had at this facility, and I was
4 not able to find any air quality-related violations
5 within the last 10 years or so, but we also have what's
6 called reportable environmental incidents, and that's a
7 utility definition.

8 And because our Title V permits not only
9 require us to provide things like monitoring and
10 reporting, we also have to self-report when we haven't
11 complied with one permit condition or another. But we
12 didn't have any for this site for air quality in the
13 last, I think it was seven to 10 years I went back.

14 MEMBER HILL: And, I know that you guys
15 take this seriously, you wouldn't have set climate goals
16 if you hadn't, but are there other vio- -- are other air
17 quality violations, are there circumstances around that
18 with other sites, in general, like, I'm just thinking
19 about track record and --

20 MS. CARLTON: Track record? So we actually
21 have a very low, I believe we're in the top quartile for
22 compliance within the nation. And so I would say, from a
23 track record perspective, we have a very good track
24 record. What we do see in permits is more stringent or
25 more difficult requirements, and we'll actually talk

1 about some of those here, where maybe five or 10 years
2 ago we would see something like a three-hour rolling
3 average, now we'll see a one-hour rolling average.

4 And so for things like startup emissions,
5 where they're really based off of the clock, if you start
6 a unit at 9:50 a.m., so you only have 10 minutes
7 remaining of an hour, it can be very difficult to comply
8 with your one-hour limits if anything doesn't go
9 perfectly correct with that unit. And so I believe the
10 last violation we received was based off of one of those
11 very short-term limits, but it was at a different
12 facility.

13 MEMBER HILL: So even the changes in
14 technology will create challenges as we adapt to new
15 technology and emission standards?

16 MS. CARLTON: It's more like a tightening
17 of the standards themselves. The technology is getting
18 incrementally better, but then our requirements in order
19 to comply are becoming more and more stringent as things
20 change nationally.

21 MEMBER HILL: Okay. Thank you.

22 MS. CARLTON: You're welcome.

23 MEMBER KRYDER: Mr. Chairman?

24 CHMN STAFFORD: One moment, Member Fontes
25 has his hand up.

1 MEMBER KRYDER: Sorry.

2 CHMN STAFFORD: And then -- then Member
3 Kryder.

4 MEMBER FONTES: Thank you, Mr. Chairman.

5 Just a follow-up to that. I just want to
6 double-check to see if Redhawk has ever exceeded the air
7 quality permits for CO, CO2 or any kind of air emissions.
8 The reason I want to do that is because you've got an
9 existing power plant, we're building a peaker power
10 plant, and when we get to talk about the physical
11 attributes of the plant. And I want to talk and revisit
12 the controls and the monitoring and how they're going to
13 be segregated between the two plants. So if we can come
14 back to that in that in that context, I would appreciate
15 that.

16 MS. CARLTON: I'm sorry, I may have missed,
17 was there a question that you needed me to answer at this
18 point?

19 MEMBER FONTES: Can you confirm whether
20 Redhawk has exceeded any air quality permit limits? And
21 then, second, I would like, in the future, when we get to
22 the design of the plant, to talk about the controls for
23 air, water, and other discharge, and how they're going to
24 be separate from the peaker plant and then the existing
25 natural gas.

1 MS. CARLTON: Okay. So I have -- thank you
2 for the question, Committee Member. I have data pulled
3 up that goes back to 2009, and we do not have any
4 exceedances of our air permit recorded. And then in
5 regards to emission control systems, we will definitely
6 be talking about those specifically.

7 MEMBER FONTES: Is that with the Arizona
8 Department of -- or the County?

9 MS. CARLTON: Maricopa County Air Quality.

10 MR. FONTES: Air Quality?

11 MS. CARLTON: Yes.

12 MR. FONTES: Okay. Thank you.

13 CHMN STAFFORD: Member Kryder.

14 MEMBER KRYDER: This may be difficult for
15 you to answer because you just testified that you've not
16 had any violations back for 2009, I think you said. So
17 let me state my question, and maybe you can come at it
18 from your other experience or something.

19 And that is, if the plant was in violation
20 of the level of some pollutant, any one of them, does the
21 plant shut down or do you simply say, oops, we're in
22 violation, and we're doing the best we can to change some
23 input factor to get back going? So the question evolves
24 to do you continue to run if you're in violation or does
25 the plant close down or what happens?

1 MS. CARLTON: Thank you for the question.
2 So I want to make sure that it's clear that I'm not
3 speaking for every instance, because let's say we're
4 having an emergency alert and resources are very
5 constrained. The answer could be different, depending on
6 what is going on across the fleet, but I will talk to you
7 in general about what occurs.

8 So ideally we avoid getting a permit
9 exceedance. Alarms will start to let the control
10 operator know that emissions are progressing in the
11 incorrect direction. So emissions are looking high,
12 maybe one of the emission control systems isn't
13 functioning the way it should, and so an alarm will come
14 through and ideally a control room operator will see that
15 and be able to manage that issue prior to an exceedance
16 occurring.

17 If, by chance, let's say one of those clock
18 hour violations occurs, where you start up a unit at
19 9:55 a.m. and we have five minutes within that hour to
20 identify if everything is going well. Again, we're going to
21 get alarms so that's great, those are all programmed into
22 our system. But if there comes a point when the unit is
23 not on track, the control operators in almost every case
24 will be able to manage that, and it could result in the
25 shutdown of the unit. As long as that's not going to

1 compromise the grid, and it's not going to compromise the
2 health of what is going on and we're not going to turn
3 off the lights. So I would say that, yes, it could
4 result in a control room operator turning off a unit.

5 MEMBER KRYDER: Okay. That's what I was
6 hoping to hear that you would put into the testimony,
7 what the steps were. And thank you very much. It's been
8 a very clarifying answer.

9 MS. CARLTON: You are welcome. Thank you.

10 CHMN STAFFORD: Quick follow-up question.
11 In the scenario you described where you have to run it
12 even in violation of the air permit for reliability to
13 keep the lights on, what is the remedy, is it a fine, do
14 you have to do something else? What's the remedy for
15 that?

16 MS. CARLTON: So, Mr. Chairman, in my
17 12 years of being here, we haven't had to face that,
18 which is great. I'm very lucky for that. We do have a
19 procedure in place that says if there is a declared
20 emergency event, that we have essentially shared with the
21 agencies that we have this procedure, and that we will
22 notify them that we are in this state of emergency.
23 Units will be kept on, essentially, even if we may be in
24 violation of one of our air permits or maybe a water
25 permit, and then we would be notifying the agency

1 throughout the emergency of what mitigating strategies
2 we'd be using to essentially turn off that unit as soon
3 as possible. And the agencies were notified by the
4 utility, by APS, but we have not actually had to put that
5 into practice.

6 CHMN STAFFORD: Thank you.

7 Oh, Member Drago?

8 MEMBER DRAGO: Hi, Ms. Carlton.

9 MS. CARLTON: Hi.

10 MEMBER DRAGO: Would it be appropriate to
11 talk about the reporting that's required if you do go
12 unabated for any reason and you have to submit an excess
13 emissions report? And then that excess emissions report,
14 then, is compared to the total tons you're allowed, and
15 then see if there's been a violation from that respect?

16 MS. CARLTON: Sure. So within each of our
17 Title V permits, so regardless of the facility, but
18 including Redhawk, and it will include the expansion
19 permit as well, we are required to self-report. In some
20 cases, the self-reporting is done on a semiannual basis,
21 which is called a compliance report. In other cases,
22 like excess emission, we actually have to report very,
23 very quickly, within 24 hours. And we provide to the
24 agency, essentially, what happened, maybe there was a
25 malfunction, so you provide that detail. And then you

1 would also provide to them how it was corrected.

2 In the case of a short-term permit
3 violation, like a one-hour limit, it is considered a
4 violation of your permit if you have a permit condition,
5 which we do in Maricopa County, where they are one-hour
6 limits. So that would be considered a violation, even if
7 our tons per year is still met.

8 So we kind of have this layering effect of
9 regulations within our permit, so while we're starting
10 up, while we're operating normally, maybe some of our
11 limits are one-hour limits or three-hour limits, or
12 24-hour limits, but to Committee Member Drago's point, we
13 also have the tons-per-year limit that would cap our
14 total emissions in any 12-month period. It's called a
15 12-month rolling.

16 MEMBER DRAGO: Thank you.

17 MS. CARLTON: You're welcome.

18 MEMBER GOLD: Mr. Chairman?

19 CHMN STAFFORD: Yes, Member Gold.

20 MEMBER GOLD: Ms. Carlton, aren't you
21 running your plants at approximately 20 percent capacity?

22 MS. CARLTON: So in the case of this
23 expansion project, we have proposed a limit of 20 percent
24 capacity, but other facilities have no capacity factor,
25 in some cases, and then some of them might have various

1 capacity factors.

2 MEMBER GOLD: But your plant -- your
3 proposed plant, that one we're looking at today, you're
4 running at 20 percent capacity, usually that means if you
5 have any kind of malfunctions or anything else, you
6 switch to another generator?

7 MS. CARLTON: So I want to clarify that
8 when we talk about capacity factor as, you know,
9 20 percent for the expansion, it's not generally running,
10 that's our maximum ability to run in a period of time in
11 a 12-month rolling. So we may run much less than that,
12 actually.

13 MEMBER GOLD: So you will have more than
14 enough opportunities and capacity so if anything goes
15 wrong just switch to something else, turn it off.

16 MS. CARLTON: To be honest, that's correct.
17 Yes, unless there's constrained operations.

18 MEMBER GOLD: Plenty of safety built in.
19 Thank you.

20 MS. CARLTON: You're welcome.

21 CHMN STAFFORD: What about the existing
22 plant, what's the capacity factor for that? What does it
23 operate at, approximately?

24 MS. CARLTON: I have the tons per year in
25 my notes, but I don't have how it translates to capacity

1 factor, but I can tell you, because we recently
2 evaluated, the plant runs around 50 percent capacity
3 factor, 50 to 55.

4 CHMN STAFFORD: Okay. I imagine it runs
5 pretty much all the time in the summer?

6 MS. CARLTON: I'm sure it's given stress to
7 multiple people on this panel besides me, but yes. The
8 combined cycles are typically higher-use units due to
9 their configuration.

10 CHMN STAFFORD: All right. Thank you.

11 MS. CARLTON: You're welcome.

12 BY MR. DERSTINE:

13 Q. So you've outlined the existing Title V permit
14 for the combined cycle plant. You want to take us
15 through -- you're going to need to revise that permit for
16 the expansion project. What's the process for doing
17 that?

18 A. (MS. CARLTON) Sure. And as you can see we are
19 in the air permitting process. And so this is just a
20 high-level overview of where we're at in our
21 presentation.

22 So I talked to you a little bit about Title V,
23 and how that's a permit found under the Clean Air Act.
24 Title V is actually an operating permit. In most states,
25 facilities have to get a construction or a

1 preconstruction permit and then an operating permit,
2 whereas in Arizona we have a unified permitting program,
3 and so it means those things are actually combined.

4 And the reason that this is different is because
5 we are required to open up our existing operating permit
6 in order to build the expansion project. So we will have
7 permit conditions related to the building, as well as the
8 operation of the new units. It's also important to note,
9 from a timeline perspective, which we'll talk about in
10 just a second, we need to have this permit finalized in
11 order to begin actual construction of the eight new
12 units, and so we have to start this process relatively
13 early on.

14 Before I jump over to timeline, I do want to
15 talk about the air quality status of where Redhawk is
16 located. And the reason why it matters. So Redhawk is
17 located in a non-attainment area for ozone pollutants,
18 which would include nitrogen oxides, as well as volatile
19 organic compounds, but it's in an attainment area for
20 other pollutants, like particulate emissions, and that's
21 because it is located outside of the Maricopa County
22 non-attainment area.

23 MEMBER GOLD: Mr. Chairman?

24 CHMN STAFFORD: Member Gold.

25 MEMBER GOLD: Would you please define

1 "attainment" and "non-attainment" just for a layman?

2 MS. CARLTON: Oh, absolutely. I was going
3 to get there. Thank you, Member Gold.

4 So non-attainment and attainment are
5 related to another term that I'll help everyone
6 understand, which is National Ambient Air Quality
7 Standards. So when you're in attainment, it means you're
8 meeting those standards. And when you're in
9 non-attainment, it means you're not meeting those
10 standards.

11 So what are the standards? Standards are
12 set by EPA and actually an advisory committee that's
13 comprised of scientists; they're reviewed on a five-year
14 basis, they're often lowered. And essentially they're
15 standards of how much pollution is, I'm going to say
16 acceptable, even though what level of pollution is
17 acceptable? But it's essentially what's -- what's
18 protecting human health, including sensitive populations,
19 like the elderly, young people, and asthmatics.

20 And so if a facility is in an attainment
21 area, it means that the air quality is generally pretty
22 good. If you're in a non-attainment area, it means the
23 air quality is not meeting those standards. And what
24 happens when you're in a non-attainment area, like
25 Maricopa County, or recently we talked a little bit about

1 Pinal County as well, is that those locations are
2 required to create programs in order to lower their
3 emissions overall, trying to -- so they try to get back
4 into attainment.

5 And so when you have a non-attainment area,
6 like Maricopa County, there's going to be a large suite
7 of rules that impact a variety of industries, utilities
8 included. And so the rules are set and they dictate how
9 we permit. And what types of permitting thresholds we
10 have to achieve. And how low of emission rates we
11 actually have to operate at.

12 And it's in an effort to not make the air
13 quality worse in the area, but in some cases it's meant
14 to actually improve the air quality in the area as well.

15 MEMBER GOLD: Why is Maricopa County a
16 non-attainment area? What's wrong with the area?

17 MS. CARLTON: So if we were to pull up
18 their emission inventory pie, which essentially shows
19 people what sources are contributing to pollution, you
20 would see in that presentation that vehicles are a
21 contributor to ozone, utilities, industries, maybe
22 possibly like chip manufacturing, it's anyone who is
23 either burning fossil fuels, which could be a car, could
24 be a facility, or is using volatile organic compounds,
25 like solvents, that's also another contributor.

1 Another main component of air quality
2 status in Maricopa County is sunlight. Ozone is created
3 through sunlight. It takes chemicals that are in the
4 air, and it breaks them up, and it aids in the creation
5 of ozone. So, typically, sunnier locations can have more
6 trouble complying with ozone standards.

7 MEMBER GOLD: So what you're saying is
8 because the sun shines, we have very poor air quality
9 regarding ozone?

10 MS. CARLTON: It's certainly not the only
11 reason, but it can contribute to it.

12 MEMBER GOLD: Okay. What else -- I mean,
13 are there man-made stuff that's causing this or is this
14 caused by the environment that we're just living in?

15 MS. CARLTON: Vehicles are a major
16 contributor to ozone pollution, and industrial sources
17 are incrementally adding to that as well.

18 MEMBER GOLD: Okay. I just looked at the
19 area where you're putting the plant in, and there's
20 nothing there.

21 MS. CARLTON: The non-attainment areas are
22 dictated by sources. So when a location moves from
23 attainment to non-attainment, an agency will review the
24 potential sources, whether it's vehicles or facilities
25 that could contribute to it, and they will designate the

1 non-attainment area based off of that. And so if you
2 noticed, there wasn't a whole lot out there, but there
3 are quite a few generating facilities out there, and so
4 it makes a lot of sense, from an agency perspective, that
5 they would want the non-attainment area to include
6 sources like Redhawk, like Mesquite, like Harquahala,
7 because airshed is not stationary. The emissions from
8 Redhawk don't just live on top of Redhawk, they may move
9 around Maricopa County and contribute overall to an
10 attainment status.

11 MEMBER GOLD: So I come from New York and
12 I've lived in Los Angeles. And then I'm gathering those
13 areas are horrible non-attainment areas, because of all
14 the vehicles and stuff that's going on there. But now I
15 live out in the middle of the desert, and is this because
16 we have temperature inversions and a lot of sun and stuff
17 like that, the natural causes of these pollutants are far
18 more than the man-made causes of these pollutions? Was
19 this area non-attainment before we had power plants?

20 MS. CARLTON: Member Gold, I would
21 definitely say that I'm not an expert in all things
22 non-attainment when it comes to how the ecology will
23 interact with it. I have an air quality background, I
24 understand how these things work, but I wouldn't want to
25 weigh in on, you know, is it where we live or is it the

1 facilities and cars. I would say that it's definitely a
2 collection of all of those things.

3 MEMBER GOLD: Okay. My ques- -- what I
4 really wanted to know is are natural causes more or
5 greater than our plants? What is -- what's primarily
6 causing this to be a non-attainment area? And I've
7 noticed that there are days when the weather report says
8 "and there is a health emergency" or "an air quality
9 alert." And it's not because people are driving their
10 cars more, it's because of something else. What I'm
11 asking is, is that something else, something out of
12 nature, or is that something else something caused by our
13 plants that we're building?

14 MS. CARLTON: Member Gold, I can definitely
15 get you a copy of the most recent emission inventory, if
16 you'd like to see the distribution of emissions that
17 Maricopa County provides publicly as to how they're
18 distributed. But, to your point, things like inversion
19 factors will make a difference on where pollution sits,
20 and whether it's able to disperse. So you are correct
21 with that statement.

22 MEMBER GOLD: In that case, thank you, if
23 you can get that, I'd appreciate it. I would also love
24 to see one, if you could get one, from 100 years ago.
25 I'd like to see what that looks like.

1 MS. CARLTON: I may be less effective with
2 that, but I'll try.

3 BY MR. DERSTINE:

4 Q. Ms. Carlton, so we had this discussion about
5 Maricopa County being non-attainment, it's not in
6 non-attainment for every criteria pollutant, right? If
7 I'm looking at your slide 179, it indicates that Maricopa
8 County is non-attainment status for ozone pollutants,
9 attainment all other criteria pollutants.

10 Do I have that right?

11 A. (MS. CARLTON) That is correct.

12 Q. Okay. So the differentiation is there are
13 listed criteria pollutants of which are part of the
14 National Ambient Air Quality Standards, and as to ozone,
15 Maricopa County is non-attainment as to that pollutant;
16 as to all the other listed or scheduled criteria
17 pollutants, Maricopa County is in attainment for those?

18 A. (MS. CARLTON) Yes.

19 Q. Okay.

20 MEMBER GOLD: Mr. Chairman?

21 CHMN STAFFORD: Yes, Member Gold.

22 MEMBER GOLD: Mr. Derstine, thank you very
23 much for that.

24 What produces ozone? Does your plant
25 produce ozone?

1 MS. CARLTON: Our facility will emit
2 nitrogen oxides, as well as volatile organic compounds,
3 and both of those contribute to the creation of ozone.

4 MEMBER GOLD: Ozone is O3, to the best of
5 my knowledge, there's no nitrogen in it?

6 MS. CARLTON: Correct.

7 MEMBER GOLD: So it says non-attainment
8 ozone pollutants and nitrogen oxides?

9 MS. CARLTON: Correct. So those two
10 pollutants can interact in the atmosphere and aid in the
11 creation of ozone.

12 MEMBER GOLD: Oh, oh, oh. So nitrogen
13 oxides and volatile organic compounds can produce ozone.
14 Does your plant -- does the proposed plant produce
15 nitrogen oxides and other volatile organic compounds?

16 MS. CARLTON: Yes.

17 MEMBER GOLD: Why?

18 MS. CARLTON: So currently emission control
19 technologies will, like, will severely reduce the amount
20 that we emit of those pollutants, but they do not get
21 them down to zero.

22 MEMBER GOLD: Okay.

23 CHMN STAFFORD: But nitrogen oxides and
24 VOCs, those are produced by burning fossil fuels,
25 correct?

1 MS. CARLTON: That is correct.

2 CHMN STAFFORD: And then what happens to
3 the non-attainment area if -- isn't there -- doesn't the
4 EPA set a standard or some kind of schedule to begin
5 reductions or -- at some point if they keep increasing to
6 some level, it's higher than it is now, what will be the
7 consequences for Maricopa County?

8 MS. CARLTON: So if an area is unable to
9 meet the attainment standard, they are going to move
10 further into non-attainment. And we actually will talk
11 about that a little bit throughout this presentation, but
12 what happens is the rules become more stringent and more
13 restrictive, and permitting becomes more challenging.
14 And so what ultimately happens is the regulations just
15 get harder to comply with, and that permitting may become
16 less and less possible.

17 CHMN STAFFORD: Right. So at some point
18 they'll stop issuing air permits for anything that emits
19 nitrogen oxides and VOCs, theoretically.

20 MS. CARLTON: Theo- -- well, without the
21 use of offsets. So as you move further into attainment,
22 offsets are required, which we'll actually talk about
23 during the permit revision section of this presentation.

24 CHMN STAFFORD: And I'm assuming that
25 offsets raise the -- significantly raise the cost of

1 compliance.

2 MS. CARLTON: They absolutely can.

3 CHMN STAFFORD: Member Hill?

4 MEMBER HILL: Ms. Carlton, there are
5 different levels of non-attainment; is that correct?

6 MS. CARLTON: Yes.

7 MEMBER HILL: And as you -- as the air
8 quality conditions worsen, for lack of a better -- over
9 time, the health risks become more significant for the
10 public, and that's why they start to impose more
11 regulation to try and reduce emissions.

12 Can you talk about it -- because I feel
13 like the tone of this conversation, I want to be careful
14 about this, is we are over-regulated, but at the end of
15 the day we're talking about public health. And so I just
16 want to make sure that when we talk about this, it
17 doesn't feel like we're over-regulated and it's a burden.

18 I mean, we are talking about public health,
19 at the end of the day, and there -- I call it -- we're in
20 non-attainment non-attainment, because it's level 2 now,
21 because we continue to -- the pollution per capita isn't
22 going up, but at the end of the day it's been a problem.

23 So can you just talk a little bit about the
24 levels, and -- I guess we've talked about the -- I don't
25 know, I'm struggling with this tone. And that's what I

1 was just trying to reset on. And so if you have comments
2 about that, that would be helpful.

3 MS. CARLTON: Yeah, I appreciate that,
4 Member Hill.

5 So when an area does not meet its
6 attainment status, it will move into non-attainment, as
7 you mentioned. When it moves further into
8 non-attainment, it does not necessarily mean pollution is
9 getting worse. It means that it's still not achieving
10 attainment. And so the plan that was crafted by the
11 agencies need -- they need to do more. They need to
12 reevaluate and reassess. And so I do want to clarify
13 that it doesn't necessarily mean that air quality is
14 getting worse.

15 In some cases, when we look at
16 non-attainment areas, it can be extremely challenging to
17 manage attainment within the region, because of possibly
18 interstate transport, international transport, and then
19 natural conditions, as Member Gold described. And so
20 when they fail to meet the attainment standard after a
21 period of time, they will reevaluate all of those
22 conditions, and they will -- the State will be required,
23 with Maricopa County in this case, would be required to
24 then redo their state implementation plan.

25 If the State fails to achieve or to

1 complete their state implementation plan in such a way
2 that EPA will approve, then the federal government has
3 the right to implement a federal implementation plan. My
4 understanding, and there's a whole lot of state
5 implementation plans, but let's just keep it focused on
6 ozone, is at this point we are -- I say "we," the State
7 has a functional state implementation plan. It is very
8 clear that they are not going to meet the attainment
9 standard, and so they are going to have to redo that
10 plan, which is likely to occur in 2025.

11 MEMBER HILL: Thank you for that
12 background.

13 MS. CARLTON: You're welcome.

14 CHMN STAFFORD: Real quick question. Will
15 that affect your permit application?

16 MS. CARLTON: We have accounted for that
17 and we will discuss it during this presentation, yeah.

18 MEMBER GOLD: Mr. Chairman?

19 CHMN STAFFORD: Member Gold.

20 MEMBER GOLD: Are coal-fired plants more
21 polluting with these ozone pollutants than gas-fired
22 plants?

23 MS. CARLTON: Member Gold, it is fair to
24 say, in general, that coal plants have higher emission
25 rates for all pollutants compared to the natural gas

1 plants.

2 MEMBER GOLD: So these plants you're
3 developing are used to replace the coal-fired plants; is
4 that not correct?

5 MS. CARLTON: We are retiring a number of
6 coal plants, and this resource was determined to be
7 required based off of some of those retirements.

8 MEMBER GOLD: So in simple layman's terms,
9 by getting rid of the coal plants and putting in
10 gas-fired plants we're cleaning the air? Yes?

11 CHMN STAFFORD: I don't know if you can say
12 you're cleaning the air, but you're polluting it at a
13 slower rate.

14 MEMBER HILL: In a non-attainment zone.

15 MEMBER GOLD: I can live with that. The
16 air quality is getting better because we're replacing
17 coal-fired plants with less polluting gas-fired plants.
18 And if you were going to measure the air by coal-fired
19 plant standards, it would be worse than by gas-fired
20 plant standards. And we're looking at permitting a
21 gas-fired plant, not a coal-fired plant. So I'm asking
22 this is better than coal, isn't it?

23 MS. CARLTON: Member Gold, I would say that
24 you are correct in that natural gas plants emit less
25 across the pollutant field than coal plants. But I would

1 also say that Member Hill is correct that our coal plants
2 are retiring in a different region.

3 MEMBER GOLD: Yeah, but air travels, you
4 know, it doesn't stay in one region, the wind blows, and
5 it goes from west to east. And when you're talking about
6 pollution, you know, people say we want zero pollution,
7 well, son of a gun, then get rid of people, and you'll
8 have zero pollution because we breathe and we have other
9 processes.

10 I'm looking at this plant, this plant is
11 better than other plants that burn coal, and we're
12 replacing the coal-burning plant with the gas-fired
13 plants, which sounds to me like an improvement. So I'm
14 saying I understand you're non-attainment, but this is
15 going to make your, quote-unquote, trying to use these
16 words, the non-attainment level was here, now it's going
17 to be here, because we're doing less of this bad stuff,
18 and we're doing something that's not as bad.

19 All I'm saying is this plant is a good
20 alternative to the coal-fired plants, and to say that the
21 coal-fired plants are someplace else, the wind is still
22 going to blow and it circulates from west to east. Where
23 are the coal-fired plants that we're retiring, east of us
24 or west of us?

25 MS. CARLTON: Member Gold, one of the coal

1 plants that's retiring in 2025 is located in Joe City,
2 which is --

3 Am I correct to say approximately 40 miles
4 east of Flagstaff? Is that correct? Or is it further?

5 MR. VAN ALLEN: It's about an hour drive,
6 so --

7 MS. CARLTON: An hour drive.

8 MR. VAN ALLEN: -- about 80 miles west of
9 Flagstaff.

10 MEMBER GOLD: Okay. So knowing weather
11 patterns generally blows from west to east, but you have
12 the counter-circulating currents, and the lows are
13 counter-clockwise, highs are clockwise. The air's going
14 to move. And generally the air that Americans are going
15 to be breathing will be better with gas-fired plants than
16 keeping the coal-fired plants? In short, you're doing a
17 good job.

18 MR. DERSTINE: Thank you.

19 MEMBER GOLD: All I'm saying is I think the
20 project sounds like a good project. That's just my
21 comment from a very non-technical point of view.

22 CHMN STAFFORD: Member Fontes, is that you
23 with your hand raised?

24 MEMBER FONTES: Yes, Mr. Chairman.

25 I'd just like to remind that we're focused

1 on the air permit and discussion of the air, and that's
2 looked at, I think, at the County level, and so if we can
3 get back on track.

4 CHMN STAFFORD: Thank you.

5 BY MR. DERSTINE:

6 Q. Ms. Carlton, in part of your slide there, I
7 think your next step you talked about the air quality
8 status, non-attainment, attainment, you were going to do
9 a high-level discussion of the permitting timeline for
10 the revision for the Redhawk Expansion Project.

11 A. (MS. CARLTON) Sure.

12 This is from APS-11, page 180. We utilized the
13 actual Redhawk permit submittal as an example, just to
14 give you some general time frames. We submitted that
15 application in April of 2024, with Maricopa County Air
16 Quality. And I can tell you that application is around
17 170 pages long. It encompasses quite a few things,
18 proposed emission limitations, operational limits,
19 technology reviews, and assessments. And some other
20 items that we'll go over in just a little bit under our
21 permit revision, but it's a quite extensive permit.

22 But I think one of the key elements here is that
23 there's a lot of variability in the permitting time
24 frame. When I'm asked by my management, you know, how
25 long is this going to take me? I will typically say

1 anywhere from 18 to 24 months for this type of permit
2 just because it is so extensive. And you'll see that the
3 bulk of the time is spent drafting permit.

4 And you might be wondering, well, if you
5 supplied them all of your conditions and all of these
6 emission limits, why would it take so long? It's because
7 the agency, one, has the authority to take anything that
8 we've provided and to change it, and to make it more
9 stringent, but they also have the ability and the
10 requirement to also perform technology assessments, and
11 look nationally to see what's going on due to that
12 non-attainment status. They've got to make sure that
13 this permit is fitting for the location.

14 And so this can take quite a while. We
15 typically go back and forth with them over the course of
16 anywhere from 12 to 14 months. And then what we get to
17 is what's called the final draft permit. And that final
18 draft permit will go out for what's important is a 30-day
19 public comment period. And so the public does get to
20 interact with this type of permitting action. They will
21 be notified, both through the newspaper, as well as the
22 Maricopa County website that our draft permit is
23 available for them for review. And then APS will be
24 requesting an open hearing that will be held at the end
25 of that public comment where people could also come and

1 provide verbal comments.

2 The agency is required to take any written and
3 verbal comment and respond to it. If something
4 substantial were to come out of those comments, we could
5 actually end up where a new draft permit is issued, and
6 we go out for public comment period again. And when I
7 say "substantial," it could, you know, maybe the removal
8 of a permit condition or the addition of a permit
9 condition, something brand-new. It wouldn't be something
10 like a clarification of a permit condition. But that
11 cycle could get repeated more than one time.

12 Once things get through the public comment
13 period, and the agency has time to respond to each
14 comment, it will go to EPA review, so not only Maricopa
15 County, who is the delegated authority reviews this
16 permit, but also the federal government through the EPA.
17 They have a 45-day review which, again, they could come
18 back and say, you know, we don't love this or we want you
19 to do more. We would like a one-hour limit instead of a
20 three-hour limit, and in that case the permit could
21 possibly be redrafted and then re-public comment and
22 re-EPA reviewed again.

23 So this timeline, I think one thing I just want
24 to make sure is clear is, we have a December/January
25 2025, right through 2026, time frame that we're thinking

1 this will be finalized, based off our historic
2 permitting. But it's -- it's likely that this could be a
3 little shorter or a little longer.

4 Q. And the actual application for revision of the
5 existing Title V permit for Redhawk is included in the
6 CEC application, which is APS Exhibit 1, and I think the
7 permit application or the revision application is B-1 to
8 APS Exhibit 1; is that right? Sound right?

9 A. (MS. CARLTON) That sounds correct.

10 MEMBER FRENCH: Mr. Chairman?

11 CHMN STAFFORD: Yes, Member French.

12 MEMBER FRENCH: Ms. Carlton, at what point
13 in this timeline is that capacity factor for the plant
14 determined?

15 MS. CARLTON: So APS has provided a
16 proposed capacity factor, which I'll dive a little bit
17 further into in another slide, but that is something that
18 we provide.

19 MEMBER FRENCH: And I assume that that
20 capacity factor that you determine is then communicated
21 to the regulating entities and then you have
22 communications back and forth?

23 MS. CARLTON: Correct. So what is likely
24 to occur if our permit is finalized as proposed is that
25 we will have a limit wrapped into our permit that is

1 based off of fuel burn, and we would be required do
2 actually submit a report on some frequency showing that
3 we are complying with that.

4 MEMBER FRENCH: Okay. Thank you.

5 MS. CARLTON: You're welcome.

6 CHMN STAFFORD: And that will be across all
7 10 units, right?

8 MS. CARLTON: Eight units.

9 CHMN STAFFORD: Doesn't the air permit
10 cover all 10 units?

11 MS. CARLTON: The operating permit will
12 cover all 10, but the capacity factor limitation is for
13 the new units.

14 CHMN STAFFORD: Okay. So there will be a
15 separate fuel cap for the existing plant, as opposed to
16 the expansion project?

17 MS. CARLTON: That is correct.

18 CHMN STAFFORD: Okay.

19 MEMBER KRYDER: Mr. Chairman?

20 CHMN STAFFORD: Yes, Member Kryder.

21 MEMBER KRYDER: One question, Ms. Carlton.
22 And maybe this is not your area. And if so, send it to
23 the right person. Is all natural gas identical or the
24 equivalent of premium and regular?

25 MS. CARLTON: So thank you for the

1 question, Member. We have permit conditions that dictate
2 the type of natural gas utilized, and it's pipeline
3 natural gas, which is defined in the permit.

4 MEMBER KRYDER: I'm sorry, I didn't
5 understand. Say that again for me, please.

6 MS. CARLTON: Let me find you the
7 definition.

8 So our definition of pipeline natural gas
9 dictates that we will burn natural gas that meets certain
10 sulfur dioxide requirements, so it's based off of
11 emissions.

12 MEMBER KRYDER: But the -- so you're saying
13 that the natural gas that comes out of El Paso or the
14 other company that the line goes to your property there,
15 would be identical or it's all regular or can I buy high
16 test too?

17 MS. CARLTON: I would need to default to
18 likely Mr. Eugenis for that question.

19 MEMBER KRYDER: Okay. I'm ready.

20 MR. DERSTINE: Or if Mr. Van Allen can
21 answer it.

22 MS. CARLTON: Or Mr. Van Allen, yeah.

23 MR. VAN ALLEN: Member Kryder, the gas we
24 get through the pipeline system meets the federal
25 standard for pipeline quality gas. You're correct, there

1 are parts of the country that have different grades of
2 natural gas. And as Ms. Carlton stated, higher sulfur
3 content, but we have, in the western U.S., high-quality
4 natural gas that has relatively low levels of sulfur
5 that -- that is to our benefit.

6 MEMBER KRYDER: And so you can specify when
7 you buy from El Paso or the other company certain, you
8 called it a federal regu- -- regulated level or
9 something?

10 MR. VAN ALLEN: When gas is transported
11 across state lines, it has to meet certain standards.
12 And that is all regulated. These gas companies also keep
13 instruments on their system, and they take daily
14 readings, gas chromatography [sic], and it analyzes the
15 chemistry of that gas, the constituents within it. So it
16 meets a very high standard.

17 MEMBER KRYDER: Okay. Thank you. What I
18 was looking at was it would seem to me the fuel that you
19 burn would impact significantly the output of the stack.
20 And you clarified for me that you have a standard fuel
21 consistency figured out by the gas chromato- --
22 chroma- --

23 MR. VAN ALLEN: Chromograph.

24 MEMBER KRYDER: -- chromograph. And so you
25 can make your equipment function according to that

1 standard. And everybody's up and down the line regulated
2 so that you know what you're getting into the generators
3 so that you also can better predict what's coming out the
4 stack.

5 Thank you very much. That's quite helpful.

6 CHMN STAFFORD: Quick question. So all the
7 gas that would flow to the site, either from the San Juan
8 or Permian Basin, it meets these standards?

9 MR. VAN ALLEN: Chairman Stafford, it does
10 meet those standards. We do have contract guarantees in
11 the fuel agreements that we have in place that they have
12 to meet certain fuel standards as well.

13 CHMN STAFFORD: Is there a difference in
14 solvent content between the San Juan and Permian basins?

15 MR. VAN ALLEN: I don't have that
16 information. I'm happy to investigate and get that for
17 you.

18 CHMN STAFFORD: Thanks.

19 BY MR. DERSTINE:

20 Q. Did you get as far as you wanted to go on the
21 timeline?

22 A. (MS. CARLTON) I think I did. Thank you.

23 Q. Okay. Do you now want to delve into the
24 actual -- the terms of the Title V permit application?

25 A. (MS. CARLTON) Absolutely.

1 So as you have heard throughout the last couple
2 of days, we are planning to build eight combustion
3 turbines. They are LM6000s, which we have operated at
4 other facilities. These units will be equipped with
5 emission control systems that are considered state of the
6 art. Our selective catalytic reduction will be used to
7 control nitrogen oxides, and oxidation catalysts will be
8 utilized to control carbon monoxide, as well as volatile
9 organic compounds.

10 It's very important to note that when we
11 evaluated and went through the permitting process, these
12 controls, specifically the SCR, the selective catalytic
13 reduction, are required, and that is because since we are
14 permitting in a non-attainment area, and based off of our
15 maximum potential to emit, we are required to achieve the
16 lowest achievable emission reduction, which means that we
17 will have some of the lowest emission rates in the
18 country, when it comes to things like nitrogen oxides.

19 So our emission rate for nitrogen oxides will be
20 2.3 PPM. And that would -- it's parts per million, which
21 will be on an hourly basis during normal operations. And
22 again, that is the lowest achievable emission rate.

23 MEMBER GOLD: Mr. Chairman?

24 CHMN STAFFORD: Yes, Member Gold.

25 MEMBER GOLD: That's what I asked before.

1 I just didn't phrase it right, but I'm looking at your
2 next chart, you will provide a net air quality benefit.
3 Is that the correct phraseology for saying it's going to
4 be better?

5 MS. CARLTON: We will be talking about
6 emission offsets, which, as you just gave a prequel to,
7 does have net air quality benefit. We will dive into
8 that a little bit deeper. Our permit also includes a
9 variety of other conditions that I described that are our
10 current Title V, but another one is the 20 percent
11 capacity factor. It's actually less than 20 percent,
12 it's around 19.4 percent.

13 That was chosen in order to meet compliance
14 obligations with the very recently finalized greenhouse
15 gas regulations. This capacity factor will put us
16 through the low load category, which is just a fancy way
17 of saying that they understand that these are peaking
18 units, and that our compliance obligation under that rule
19 would be to burn natural gas. And so it will keep us out
20 of the requirements of the rule that would mandate
21 something like carbon capture sequestration, which is
22 currently in the rule for more baseloaded-type units.

23 Other items that are in this permit, which
24 we can dive into if everyone's ready, unless Matt has
25 another -- or Mr. Derstine has another question for me --

1 sorry.

2 CHMN STAFFORD: Well, I have another
3 question, actually.

4 MS. CARLTON: Oh, sure.

5 CHMN STAFFORD: So water is used to reduce
6 the carbon monoxide emissions, correct?

7 MS. CARLTON: It is used to actually reduce
8 nitrogen oxide emissions. It's used to cool the inlet
9 air temperature.

10 CHMN STAFFORD: What is used to reduce the
11 carbon monoxide emissions?

12 MS. CARLTON: Catalytic reduc- -- or,
13 sorry, an oxidation catalyst.

14 CHMN STAFFORD: The SCR does?

15 MS. CARLTON: The oxidation catalyst is a
16 separate component than the selective catalytic
17 reduction. They sound quite the same; they actually
18 operate quite the same way, but they are different
19 emission control systems.

20 CHMN STAFFORD: Okay. And then the -- and
21 then the CO2 emissions are limited to what, like,
22 1,100 per megawatt hour or something?

23 MS. CARLTON: Let me look. I've got that.
24 So our --

25 CHMN STAFFORD: That's the new regulation

1 in subpart TTTT, or something.

2 MS. CARLTON: So, correct, we do have the
3 subpart. These units would actually fall under the new
4 greenhouse gas regulation, not the existing. But it is
5 our carbon dioxide that we are proposing is 1,450 pounds
6 per megawatt hour gross electric output.

7 CHMN STAFFORD: Okay.

8 MS. CARLTON: And that is based off of best
9 available control technology.

10 CHMN STAFFORD: All right. And then you
11 said the capacity factor -- the capacity factor, that's
12 the hard cap, and that's going to be the fuel?

13 MS. CARLTON: So we will have many hard
14 caps, but that will be one of them, and that is based off
15 of the amount of fuel that we are able to burn.

16 CHMN STAFFORD: And that's -- you have a
17 different number, I think you said this before, so I want
18 to make sure I'm getting this, you have a different
19 number for the existing plant than for the expansion?

20 MS. CARLTON: Correct. So the existing
21 plant will continue to operate under its operating
22 provisions. It will not be impacted by this permit
23 modification, whereas these eight combustion turbines
24 will have, like, their own set of criteria, and they'll
25 be delineated in the permit pretty much normally by name,

1 so it will be combined cycle 1 and 2 and then likely CT,
2 I don't know if we're naming them 3 through 8 or 3
3 through 10, however we'll name them, but it will be
4 clearly delineated in the permit.

5 CHMN STAFFORD: So is there a separate
6 meter for each seven units?

7 MS. CARLTON: Yes, we do. So just like the
8 continuous emission monitoring, we've got systems that
9 are attached to each individual unit that measure things
10 like fuel burn and emissions.

11 CHMN STAFFORD: Oh, for each individual, so
12 1 through 10, each one has a separate calculator of how
13 much fuel each one's burning?

14 MS. CARLTON: Correct. Yes.

15 CHMN STAFFORD: Okay. All right. Thank
16 you.

17 MS. CARLTON: You are welcome.

18 BY MR. DERSTINE:

19 Q. Member Gold was interested in your offsets, is
20 that the next area you wanted to cover?

21 A. (MS. CARLTON) Sure.

22 And please let me know if I'm talking too fast.

23 THE REPORTER: You are.

24 MS. CARLTON: Okay. I will slow down.

25 This is me talking slowly, so I will -- I will take it

1 down a notch.

2 All right. So this is related to a net air
3 quality benefit, but it's not completely aligned with
4 Member Gold's discussion related to coal closures and the
5 addition of gas plants. But I'll try to explain this and
6 please feel free to interject with questions.

7 So in a non-attainment area where
8 regulations get tighter and permitting thresholds get
9 lower, there's an acknowledgement under the Clean Air Act
10 that a non-attainment area may still desire and need
11 economic development, and so when you start to kind of
12 think about how you would handle that, from an air
13 quality perspective, this is where emission offsets were
14 derived.

15 So, essentially, if you are looking to
16 build a new facility or expand upon a facility, and your
17 maximum potential to emit is above a specific threshold,
18 you are required to offset your emissions. And by
19 offsetting your emissions, you are actually removing more
20 emissions from the airshed or the location, in our case
21 Maricopa County, than you are asking to add.

22 And so I think one thing that can help us
23 look at this, is the presentation or the slide to your
24 right, 184, from APS-11, again, we're in that permit
25 revision section, so this can actually be found in our

1 permit application. You'll notice I have two sets of
2 calculations for you, and I believe, Chairman --
3 Mr. Chairman had alluded to the fact that we may have a
4 change in our non-attainment status.

5 Currently we are in moderate, and it is
6 very likely that we will move to serious before the
7 finalization of this permit. So we actually accounted
8 for that in our application, and we provided two sets of
9 calculations for our emission offsets. So our facility
10 has a maximum potential to emit for nitrogen oxides of
11 59 tons. If the County is in moderate non-attainment
12 when everything is finalized, we will be required to have
13 a 15 percent reduction. So we would have to provide 68
14 credits. And think about credits as in tons of
15 pollution, because that's what it is.

16 In a serious non-attainment area, it's even
17 more. So you'd have to have a 20 percent reduction, and
18 so depending on where we're at in the non-attainment
19 status change, we will either have to provide 68 credits
20 or 71 credits. And in both cases we are able to do that.
21 And we were able to do that by reducing our emissions in
22 a fashion that was above our compliance obligation, so we
23 controlled emissions more than we were required to do so
24 at our West Phoenix Plant on combined cycles one and two.

25 CHMN STAFFORD: So that means they --

1 they'll put 59 tons less of the criteria pollutants out?

2 MS. CARLTON: So we are looking to our
3 maximum potential to emit is 59 tons. But we have to
4 essentially give back 68 tons, so that means we lowered
5 our emissions at that West Phoenix Power Plant by
6 actually more than 71 tons.

7 CHMN STAFFORD: Okay.

8 MS. CARLTON: And so if you look at what we
9 took out of the airshed versus what we're requesting to
10 add from a maximum potential, there's at least a 15
11 percent, if not a 20 percent, difference, depending on
12 the permitting scheme.

13 CHMN STAFFORD: And you did that by running
14 it less?

15 MS. CARLTON: It wasn't by running less, it
16 was actually over-control of the unit. We installed a
17 selective catalytic reduction in order to meet a
18 requirement and that emission control system controlled
19 it more than what we were required to do. So the unit is
20 operating in a cleaner fashion than what the agency was
21 requiring us to do.

22 CHMN STAFFORD: And so anything you -- any
23 reductions you do beyond what was required counts as a
24 credit that can offset higher emissions elsewhere?

25 MS. CARLTON: Correct. So maybe not higher

1 emissions, but it's actually less emissions, because I've
2 offset 71 in the case of serious non-attainment, but I'm
3 only asking to emit 59.

4 CHMN STAFFORD: Okay. All right.

5 MEMBER DRAGO: Mr. Chairman?

6 CHMN STAFFORD: Yes, Member Drago.

7 MEMBER DRAGO: Maybe we should add that you
8 would not be able to take a credit outside of the
9 non-attainment area, correct?

10 MS. CARLTON: That is correct. So they do
11 want you to evaluate it on a local basis. So I couldn't
12 shut down one of my coal plants in Navajo County and get
13 credit for it in Maricopa County. Because it's an
14 attainment area, it's not the same airshed.

15 The other, I think, important thing to note
16 is that credits have to be permanent, so this isn't
17 something I can just undo at West Phoenix and then emit
18 more there and emit more at Redhawk. There's a lot of
19 provisions related to obtaining a credit that are
20 required to be met in order to be able to what's called
21 bank them.

22 MEMBER GOLD: Mr. Chairman?

23 CHMN STAFFORD: Yes, Member Gold.

24 MEMBER GOLD: Ms. Carlton, what's an
25 airshed?

1 MS. CARLTON: Just like an area where air
2 pollution moves around and gets shared. And so when you
3 think about Maricopa County in its entirety, you know,
4 you talk about it like a -- a local area.

5 MEMBER GOLD: So Maricopa County is like a
6 bowl and the other airshed is like another bowl?

7 MS. CARLTON: Per monitoring, it would be
8 part of the area that, you know, shares the same
9 problems. So when we look at the monitoring network, you
10 know, this area within Maricopa County has ozone monitors
11 that show levels maybe above attainment, whereas if we
12 talk about Joe City, which is maybe 80 miles outside of
13 Flagstaff, it's not part of the same area that we're
14 evaluating.

15 MEMBER GOLD: Because the air doesn't sort
16 of sit there like it sits in Maricopa County?

17 MS. CARLTON: We do tend to have more
18 inversion layers in Maricopa County, that's pretty common
19 here.

20 MEMBER GOLD: Okay. I think I understand.

21 CHMN STAFFORD: I think we've been going
22 for approximately 90-ish minutes. I think the court
23 reporter is ready for a break. I think -- any
24 objections --

25 MR. DERSTINE: No objection.

1 CHMN STAFFORD: I didn't think so. All
2 right. Let's take a 15-minute recess.

3 We're in recess.

4 (Recessed from 3:41 p.m. until 4:01 p.m.)

5 CHMN STAFFORD: Let's go back on the
6 record.

7 Mr. Derstine.

8 MR. DERSTINE: Yes. Thank you.

9 Q. Ms. Carlton, I want to make sure I understand.
10 I think what the take-away from your -- your offset
11 calculations there are that you need to -- essentially
12 the credits that you use to meet the threshold
13 requirements will exceed the amount of the emission
14 reductions necessary to meet the threshold; do I -- am I
15 thinking about that the right way?

16 A. (MS. CARLTON) Say that one more time for me.

17 Q. All right. So you're using -- you just
18 indicated that you have to use credits that exceed the
19 total, is the tons, or whatever the -- whatever the
20 number is that you're having to control for; is that
21 right? So there is a net benefit to the air quality in
22 Maricopa County, because you're using credits that
23 are -- that go beyond what would otherwise be the
24 emissions from the expansion project?

25 A. (MS. CARLTON) That is correct.

1 Q. Okay. Anything else on offsets and credits?

2 A. (MS. CARLTON) I -- are there any other
3 questions?

4 (No response.)

5 CHMN STAFFORD: Not from members at this
6 time, apparently. If you could move a little closer to
7 your microphone, though, please.

8 MS. CARLTON: Absolutely.

9 BY MR. DERSTINE:

10 Q. So I think now you want to move into the
11 modeling that was done for the application?

12 A. (MS. CARLTON) Correct.

13 So we hired a national expert in environmental
14 consulting to conduct modeling. The company name is RTP.
15 They utilized EPA guidance and protocol, as well as
16 guidance and protocol from ADEQ, which is the Arizona
17 Department of Environmental Quality, as well as Maricopa
18 County Air Quality's guidance and protocol.

19 Air modeling is required for this type of
20 permitting and really what it does is it simulates the
21 physical and chemical processes that affect air
22 pollutants. And I think what's really important about
23 the air modeling that is required during air permitting
24 is that it's extremely site- and geographical-specific.
25 And so very specific details related to the environment

1 around Redhawk, as well as the units themselves, are
2 included in the air modeling. Details as exact as stack
3 height, velocity of emissions leaving the stack, stack
4 diameter, the climate around the facility for multiple
5 years averaged are all put into the model to assess the
6 impacts from the project.

7 The results of the modeling show that the total
8 impacts are below the National Ambient Air Quality
9 Standards and prevention of significant deterioration
10 increments. And really, what does this mean? It means
11 that the facility, the expansion, will not cause or
12 contribute a violation of the National Ambient Air
13 Quality Standards, and as a result of this modeling, we
14 were not required to take any additional operational
15 controls or modifications to the facility.

16 Q. And so the modeling, those are the conclusions
17 that are -- that were reached based on the modeling
18 analysis, and you presented that to Maricopa County Air
19 Quality and they have, through their process, then, will
20 evaluate and presumably, I guess, come to the same
21 conclusion about the -- once they approve the permit
22 application?

23 A. (MS. CARLTON) Correct.

24 So both our modeling protocol, so how we
25 completed the modeling, as well as our modeling files,

1 are all presented to the agency so they can essentially
2 completely redo the modeling, if they like. But what's
3 more likely to happen is they'll have their modeling
4 experts evaluate what we did, the inputs that were
5 utilized compared to what we've provided in the
6 application to determine that our modeling was done
7 correctly, and that the results were appropriate.

8 Q. Okay. Modeling is -- is required for the air
9 permit application for the expansion project. Do you
10 have to also include some sort of analysis on
11 environmental justice considerations?

12 A. (MS. CARLTON) We are required to include
13 environmental justice considerations. So environmental
14 justice, for those who are less familiar with it, is
15 defined by EPA to mean "The fair treatment and meaningful
16 involvement of all people, regardless of race, color,
17 national origin, or income, with respect to the
18 development, implementation and enforcement of
19 environmental laws, regulations, and policies."

20 Utilizing EPA guidance documents, we evaluated a
21 three-mile radius around the plant, using the EJSCREEN
22 model. EJSCREEN is a tool that has been developed by the
23 EPA that has both environmental, as well as socioeconomic
24 factors built into it. So you can fairly quickly get a,
25 like a scorecard for your facility. What we found is

1 that this facility, as mentioned earlier in this
2 testimony, does not have very many people living around
3 it. There's around 217 individuals that were identified
4 in the EJSCREEN. And we did not find that the facility
5 or the expansion of the facility would result in an
6 adverse or disproportionate impact to the community.

7 But even though we did not find during the
8 EJSCREEN and EJ evaluation -- "EJ" is short for
9 environmental justice, my apologies, I started using the
10 acronym without saying what it was -- we still are going
11 through the meaningful involvement of the community
12 through things like the open houses, both with the CEC
13 process, but also with the air permitting process.

14 Q. When you mention, I forgot you said there
15 were -- weren't many people, how many people identified
16 are residents within your screening area?

17 A. (MS. CARLTON) Within the screening area, it
18 identified 217 individuals, which would be considered
19 very rural.

20 Q. Okay. And those 217 individuals were found
21 within the three-mile area, which is used by -- or that
22 falls within the guidelines for environmental justice
23 evaluation; is that right?

24 A. That is correct.

25 Q. Okay. All right. You've covered the elements

1 and what you presented to Maricopa County Air Quality in
2 the permit application, do you want to summarize for
3 the -- I think for the Committee what's in the permit and
4 what you expect to receive back from Maricopa County Air
5 Quality?

6 A. (MS. CARLTON) Definitely.

7 So, again, we're with the permit revision, and
8 we wanted to highlight the main elements of the permit
9 revision. So the combustion turbines themselves will be
10 equipped with state-of-the-art emission control
11 technology that reduces multiple pollutants by a factor
12 of over 90 percent in some cases.

13 We will be utilizing ERCs, or emission reduction
14 credits, that will result in an overall reduction in
15 nitrogen oxide emissions in the non-attainment area, and
16 will provide a net air quality benefit. The modeling
17 results demonstrate that the total impacts are below the
18 National Ambient Air Quality Standards, as well as the
19 prevention for significant deterioration increments. And
20 please note on the slide I do have a typo, it should be
21 "prevention" for significant deterioration, not
22 "potential."

23 And then the environmental justice did not
24 identify any community with a potentially adverse,
25 particularly -- I'm sorry, adverse or disproportionate

1 impact.

2 Q. Okay. So that's what's in the application for
3 the revision of the Title V permit for Redhawk.

4 Is there kind of a timeline for Maricopa County
5 Air Quality to act on your application?

6 A. (MS. CARLTON) Absolutely.

7 So this is more of just a wrap-up and a reminder
8 that this process is not near complete yet. When we look
9 at the timeline, we submit it in April, but we're still
10 in the drafting permit phase. And just as a remainder,
11 we'll both have public comment, as well as EPA review,
12 prior to the finalization of this permit. But once it is
13 ready to be finalized, it will be issued by Maricopa
14 County Air Quality Department. And then we will be able
15 to begin actual construction of the facility.

16 Q. I guess that's an important point. You cannot
17 start to construct the expansion project until you have
18 received the final permit from Maricopa County Air
19 Quality; is that right?

20 A. (MS. CARLTON) That is correct.

21 Q. Okay. Does that conclude your testimony?

22 A. (MS. CARLTON) It does.

23 Q. All right. Mr. Nicholls, are you ready to talk
24 water?

25 A. (MR. NICHOLLS) I am.

1 Q. Okay. You have already been sworn. You've
2 given the court reporter your name and address. Let's
3 tell the Committee a little bit about yourself and your
4 background.

5 A. (MR. NICHOLLS) Certainly.

6 I have a master's degree in geology from Brigham
7 Young University, with an emphasis in hydrogeology. I'm
8 an Arizona licensed professional geologist. I've been
9 working for about 27 years across the Southwest on water
10 resource projects, both in water supply and also
11 addressing impacts to groundwater supply as well.

12 In particular, on this project, I was asked to
13 evaluate the -- the impacts of the proposed expansion on
14 the -- on the active manage- -- or the Phoenix Active
15 Management Area management plan, and I'll discuss what
16 that means here in just a few minutes, but also to
17 evaluate the availability of groundwater relative to this
18 project.

19 Q. And we asked you to look into those issues
20 because the siting statute, the statute that does a lot
21 of things, but in part, defines what this Committee is to
22 consider, directs them to consider those two factors in
23 40-360.13, that is the potential impact of the project on
24 and the availability of groundwater and the impact on the
25 management plan, correct?

1 A. (MR. NICHOLLS) Correct.

2 Q. Okay. Do you want to outline your testimony and
3 how you're going to get to those -- address those topics?

4 A. (MR. NICHOLLS) Certainly.

5 So I'll talk a little bit about some of the
6 important regulatory and administrative features relative
7 to the groundwater supply at the Redhawk facility. And
8 we'll call this the groundwater setting where I'll
9 discuss some of the hydrologic characteristics and
10 regulatory or administrative characteristics of that
11 groundwater supply.

12 I'll also talk a little bit about the regulatory
13 framework for groundwater use at the Redhawk facility or
14 that pertains to the groundwater use at the Redhawk
15 facility. And I'll talk about my analysis of groundwater
16 availability, in particular I conducted two tests using a
17 groundwater model to evaluate the availability of
18 groundwater for the proposed expansion.

19 Q. I'm going to guess that you may be talking a
20 little fast for the court reporter, so if you'll just
21 slow down a little bit, I think that will make things
22 easier.

23 A. (MR. NICHOLLS) Will do.

24 Q. All right. Do you want to start with what you
25 have identified as the groundwater study?

1 A. (MR. NICHOLLS) Certainly. On the -- on the
2 right screen you'll see a map that shows a few of the
3 important administrative and hydrologic boundaries
4 relative to the site. On this map you'll see a gray
5 dashed line that shows the edge of the Phoenix Active
6 Management Area -- and again, I'll talk about what the
7 Active Management Area is -- you'll also see a black
8 solid line, which is the edge of the current Phoenix
9 Active Management Area groundwater model. You'll see a
10 blue shaded area, which is the Hassayampa groundwater
11 sub-basin.

12 These features are relevant to the -- to the
13 Redhawk Power Plant site, because the fact that it's
14 located within the Phoenix AMA sets the regulatory
15 framework for groundwater use at the plant. The fact
16 that it's within the model boundary of the most recent
17 Phoenix AMA model means that we can utilize that tool to
18 evaluate the availability of groundwater.

19 And, of course, the fact that the plant is
20 located in the southern portion of the Hassayampa
21 groundwater sub-basin means that that's where any impacts
22 from the groundwater use would most likely be observed.
23 There is an indicator on this -- on this map that shows
24 where the Redhawk Power Plant is located relative to
25 these features.

1 There are two aquifers that underlie the plant
2 site, and these aquifers have been named the upper
3 alluvial unit and the lower alluvial unit. When we talk
4 about an alluvial aquifer, it's relatively common to
5 think of those in terms of sands and gravels that are
6 saturated. So the aquifers are composed of those
7 materials. The historic groundwater use in the vicinity
8 we're at, the Redhawk Power Plant site, was dominated by
9 agricultural uses, by irrigation.

10 As a result of these historic uses, APS holds a
11 converted type I groundwater right in the quantity of
12 3,356 acre feet at the Redhawk Power Plant site.

13 Q. Now, Mr. Nicholls, I don't -- I think you were
14 here -- you were here for when Member French asked
15 questions about the two wells at the existing Redhawk
16 Power Plant site, and whether those wells were permitted,
17 and I might get this wrong, but in terms of the permitted
18 volume for pumping -- did I cover those -- is that
19 correct, Member French?

20 MEMBER FRENCH: Yes.

21 BY MR. DERSTINE:

22 Q. Okay. Can you address those questions?

23 A. (MR. NICHOLLS) I can.

24 We looked up the values associated with those
25 wells, the permitted withdrawal values, and I do have

1 numbers that I'll read so that they end up in the record
2 here.

3 There are two wells that will be used for water
4 supply and are currently used for water supply at the
5 Redhawk Power Plant site. The registration of the first
6 well is 55230361. And that well is permitted for a
7 withdrawal of 4,035 acre feet per year. The second well
8 is registration number 55231818, and that well is
9 permitted for a withdrawal volume of 3,065 acre feet per
10 year.

11 MEMBER FRENCH: Thank you.

12 MEMBER KRYDER: Mr. Chairman?

13 CHMN STAFFORD: Yes, Member Kryder.

14 MEMBER KRYDER: Question, Mr. -- I'm sorry,
15 I can't see your name.

16 MR. NICHOLLS: Nicholls.

17 MEMBER KRYDER: -- Nicholls, the numbers
18 that you've given in acre feet, and I did not get them,
19 they came too quickly for me, this includes the whole
20 area for the Palo Verde, not just for the Redhawk; is
21 that correct?

22 MR. NICHOLLS: As I understand it, there
23 were 1,700 -- I think it was 1,700 -- a little bit more
24 than 1,700 acre -- acres of farmland that were retired at
25 the Redhawk Plant site. And there was a water right

1 associated with that farmed acreage that was converted to
2 this right. And so I don't know specifically if this
3 water right of 3,356 acre feet is available for use at
4 the Palo Verde site.

5 MEMBER KRYDER: Okay. And from someone's
6 earlier testimony, they said that -- or at least I
7 understood that there were 500 acre feet currently being
8 used at the Redhawk site, and the proposal that we're
9 speaking of now would add 300 -- up to 300 acre feet, did
10 I get those numbers correct?

11 MR. NICHOLLS: That's correct.

12 MEMBER KRYDER: So that's significantly
13 under what your allocation is, your type I allotment is
14 4,000 and change, or something I heard; is that correct?

15 MR. NICHOLLS: It is significantly less
16 than that value of 3,356 acre feet.

17 MEMBER KRYDER: And will APS sell those
18 differences or you'll just hold onto them or are you
19 being -- taking them home in your back pocket or what?

20 MR. NICHOLLS: Because it's a type I water
21 right, that means that it is tied to the land, so it's
22 appurtenant to the land and can't be severed from the
23 land. So if APS were to develop future uses for
24 groundwater, they would have to be on that site.

25 MEMBER KRYDER: Okay. So it is

1 specifically for power plants, and it is not for ag now
2 that you moved to a type I; is that correct?

3 MR. NICHOLLS: That's correct. It's been
4 converted from an agricultural right to an industrial
5 water right.

6 MEMBER KRYDER: Okay. And that it has to
7 be used specifically on that site for a power plant use
8 as your -- as your classified type I license grants you;
9 is that correct?

10 MR. NICHOLLS: Yes. And I think I would
11 state, generally, it needs to be an industrial water use.
12 And in this case, of course, that's probably several
13 things related to the power plant, as well as for power
14 generation.

15 MEMBER KRYDER: Okay. Thank you very much.
16 That's quite enlightening. Appreciate it.

17 BY MR. DERSTINE:

18 Q. I think that the numbers that Committee Member
19 Kryder gave you, those were supplied to you by APS that
20 is that the -- historically the Redhawk Plant, the
21 combined cycle plant has used, depending on the year,
22 roughly 500 acre feet per year. I think, as Member
23 Kryder mentioned, that's well below the 3,356 acre feet
24 of rights that APS holds. But the water use for the
25 existing plant is also augmented or supplemented by the

1 treated effluent from Palo Verde.

2 Did you hear that in the testimony?

3 A. (MR. NICHOLLS) Yes, I did.

4 Q. Okay. And then you also heard the testimony
5 that the anticipated or projected water use for the
6 expansion project is approximately 300 acre feet per
7 year; is that correct?

8 A. (MR. NICHOLLS) Yes.

9 Q. Okay. And those are the numbers you used in
10 your modeling?

11 A. (MR. NICHOLLS) That's correct.

12 Q. Okay. All right. Is there more you wanted to
13 cover on the groundwater study or that was important for
14 the Committee to understand?

15 A. (MR. NICHOLLS) I think that was it for this
16 topic.

17 Q. Okay. I think you want to give us a bit of
18 background on the Phoenix Active Management Area and how
19 water -- groundwater use is regulated?

20 A. (MR. NICHOLLS) Yes, I do. Thank you.

21 My -- I used the term several times, "Active
22 Management Area" and in case there are members of the
23 Committee that aren't familiar with exactly what that
24 term means, the Groundwater Management Act of 1980
25 authorized DWR to create areas where groundwater would be

1 managed in a more focused or more intensive regulatory
2 setting. Those are referred to as Active Management
3 Areas.

4 The map that you see on the right screen shows
5 the location of Active Management Areas within the state
6 of Arizona, as shaded green. You'll see some orange
7 areas that are also areas of more intensive groundwater
8 regulation that are referred to as irrigation
9 non-expansion areas. They have different regulatory
10 requirements than the Active Management Areas. The areas
11 of the state where you -- where they are not shaded or
12 areas that are not shaded have a less intensive
13 groundwater regulatory setting.

14 You'll see on this map that the Redhawk Power
15 Plant location is near the western edge of the Phoenix
16 AMA. DWR has developed or is in the process of
17 developing management plans to implement conservation
18 criteria within each of the Active Management Areas. The
19 current -- the current conservation requirements that
20 pertain to the Redhawk Power Plant site are set forth in
21 the fourth management plan. The Phoenix AMA, or Active
22 Management Area, fourth management plan. That plan is in
23 effect until December 31st of this year, after which the
24 fifth management plan will become effective in January of
25 2025.

1 And, of course, the groundwater withdrawals at
2 the Redhawk Power Plant site are ultimately limited by
3 the type I -- the converted type I water right that I
4 discussed a few minutes ago.

5 CHMN STAFFORD: Yes, Member Drago.

6 MEMBER DRAGO: Mr. Nicholls, are those
7 plans updated on some sort of cadence, five years,
8 10 years?

9 MR. NICHOLLS: They are updated on a
10 certain cadence. It's a very intensive stakeholder
11 engaged process. And I can't speak specifically to how
12 long it's taken to update some of those plans. I think
13 they might have taken longer -- some of them might have
14 taken longer than anticipated.

15 MEMBER DRAGO: Thank you.

16 BY MR. DERSTINE:

17 Q. You've touched on the active -- the Phoenix
18 Active Management Area and the fourth management plan
19 that's currently in effect, but the fifth management plan
20 will become effective in January. I think the first area
21 of your analysis was whether or not the expansion project
22 is the -- the new additional eight combustion turbines
23 would comply with the fourth or/and the fifth management
24 plan?

25 A. (MR. NICHOLLS) Correct.

1 Q. Do you want to speak to that?

2 A. (MR. NICHOLLS) Certainly.

3 So the fourth management plan includes
4 conservation requirements that are specific to combustion
5 turbine power plants. Those conservation requirements
6 address cycles of concentration, you know, in cooling
7 towers, specifically. And, of course, those
8 requirements, those conservation requirements that are
9 articulated in the fourth management plan were
10 sufficiently stringent that they were also carried
11 forward to the fifth management plan without -- without
12 change.

13 Of course, the Redhawk, the proposed expansion,
14 will not rely on cooling towers, either the existing
15 cooling towers or new cooling towers. From that
16 perspective, the proposed expansion is compliant with
17 both the fourth and the pending fifth management plans.

18 MEMBER KRYDER: Mr. Chairman?

19 CHMN STAFFORD: Yes, Member Kryder.

20 MEMBER KRYDER: Showing my ignorance, which
21 is galloping at times, how do you measure a capacity in
22 tons when you're talking about water? What do you
23 measure?

24 MR. NICHOLLS: What do we measure? We're
25 typically measuring flows in gallons per minute or we're

1 measuring water use in acre feet per year.

2 MEMBER KRYDER: But how does that convert
3 to 250 tons -- tons per day, minute, hour, year?

4 MR. NICHOLLS: I think it -- as we see on
5 the right slide, that reference is actually an excerpt
6 from the -- from the fourth management plan, and as I
7 understand that, that's 250 tons of cooling capacity,
8 which I would have to defer to one of the engineering
9 team to answer that. But the limitation that's
10 articulated here is one of water quality. And so it's
11 looking at the capacity of the cooling towers in tons of
12 cooling capacity, which is a term I'm not able to fully
13 define.

14 MEMBER KRYDER: Which would be like an
15 air-conditioner that -- an industrial air-conditioner
16 that gives seven tons of cooling or a ton and a half of
17 cooling, is that the kind of measurement we're making?

18 MR. NICHOLLS: I can't say precisely with
19 regards to tons of cooling, but I think that's -- that's
20 an answer that we'll endeavor to get for you.

21 MEMBER KRYDER: Okay. Thank you very much.
22 I was highly confused, but that's not normal -- or
23 abnormal.

24 BY MR. DERSTINE:

25 Q. Mr. Van Allen, is that something we need to look

1 into or can you speak to that now?

2 A. (MR. VAN ALLEN) I need to look into that,
3 Mr. Derstine.

4 CHMN STAFFORD: Member Drago, you had a
5 question?

6 MEMBER DRAGO: Yeah, thank you,
7 Mr. Chairman.

8 I'm not sure if this would go to
9 Mr. Nicholls or Ms. Carlton, but is the reason there are
10 no cooling towers the use of SF6, so I saw that in your
11 application, or greenhouse gas emission estimates?

12 MS. CARLTON: So the SF6 referenced in the
13 air permits is related to SF6 breakers --

14 MEMBER KRYDER: A little closer to the mic,
15 please.

16 MS. CARLTON: The SF6 referenced in the air
17 permit application is related to SF6 breakers. I'll let
18 Mr. Peter Van Allen answer why these do not have coolers
19 associated with them.

20 MEMBER DRAGO: Thank you.

21 MR. VAN ALLEN: Member Kryder, so SF6
22 breakers, those are high-voltage breakers -- SF6 is used
23 as a gas to insulate and eliminate an arc within the
24 breaker, it's a sealed, enclosed breaker. You know, the
25 gaskets in those breakers can deteriorate over time. And

1 you could leak that gas out, and that gas is -- falls
2 under one of the controlled substances under that
3 greenhouse gas requirement.

4 So in simple terms, it's not a large source
5 of release, right. I mean, very, very minor amounts
6 would ever be -- would ever leak out of those. And I
7 think we can track those and we report that. I'd have to
8 investigate it a little further to make sure I
9 understand.

10 BY MR. DERSTINE:

11 Q. I think the question was directed to the
12 expansion project will not be utilizing cooling towers,
13 the cooling towers are utilized in conjunction with the
14 combined cycle units at the existing Redhawk Plant. The
15 expansion project, these simple cycle units will not
16 utilize cooling towers, you testified about the kind of
17 cooling, I guess it's inlet cooling that you're using in
18 conjunction with that technology, but they're not
19 utilizing cooling towers; is that correct?

20 A. (MR. VAN ALLEN) The new -- the new units will
21 not use cooling towers, that is correct.

22 Q. Okay. And is there a reason, I guess
23 operationally, that they just aren't needed to operate
24 these units?

25 A. (MR. VAN ALLEN) They -- so industry -- good

1 question, Mr. Derstine. Industry has configured the
2 units to really eliminate the need for water in the
3 cooling process. They're sensitive to it. And they've
4 done what they can to install a -- a -- what's called a
5 fin fan cooler. It's much like the coolers we have at
6 our homes for air-conditioning outside, right. You have
7 the condensing unit, it's simply aluminum fins that have
8 a fan and they pull heat off those systems.

9 So there's certain systems on a (GE) LM6000
10 that -- that the lube oil is cooled, right, for both the
11 generator and the combustion turbines. So there's no --
12 the short answer is there's no cooling tower.

13 MEMBER DRAGO: Thank you.

14 BY MR. DERSTINE:

15 Q. And that gets -- that gets Mr. Nicholls to his
16 conclusion that because there are no cooling towers used
17 in conjunction with the expansion project, that the
18 expansion project, in your opinion, is compliant with the
19 fourth and the fifth active management plan; is that
20 right?

21 A. (MR. NICHOLLS) Yes.

22 Q. So beyond whether or not the project will comply
23 with the fourth and the fifth active management plan, you
24 were asked to look at and analyze the impact of the
25 project on groundwater availability, correct?

1 A. (MR. NICHOLLS) Correct.

2 Q. Okay. You want to take us through that
3 analysis?

4 A. (MR. NICHOLLS) Certainly.

5 And so, as I -- as I described earlier, the
6 Redhawk Power Plant site is within the model domain of
7 the current groundwater model that DWR has developed for
8 the Phoenix Active Management Area. This model is one
9 that was published in 2023. It's a relatively new model.
10 It represents the most up-to-date tool available to
11 evaluate groundwater conditions throughout the Active
12 Management Area.

13 On the right screen you'll see some examples of
14 some of the geologic information that gets built into a
15 model like this. And, for instance, on this upper panel,
16 you'll see a depth to bedrock map. This tells us how
17 deep bedrock is below ground surface, and helps us
18 understand how thick the aquifer is at the vicinity or in
19 the vicinity of the plant site.

20 This lower panel that you see shows a
21 representation or a sampling of the geologic map in the
22 area, which helps us understand the geologic materials
23 that -- that -- that the aquifers are composed of beneath
24 the site, but also helps us understand where bedrock is
25 and the horizontal extent of the aquifer.

1 We used this model to evaluate pumping or the
2 effects of pumping for both the existing Redhawk Power
3 Plant water use and for the proposed expansion water use.
4 And the evaluation included two tests, the first test was
5 to consider draw-down impacts over a five-year period,
6 from the proposed expansion pumping. The second test was
7 to simulate pumping at the combined rate for both the
8 existing power plant -- or the existing water use and
9 also the proposed expansion water use over a period of
10 40 years.

11 The model assumed that all of the existing
12 pumping that's -- that's currently ongoing and reported
13 to DWR would continue throughout that simulation period,
14 so throughout both the five-year simulation and the
15 40-year simulation.

16 MEMBER KRYDER: So -- Mr. Chairman?

17 CHMN STAFFORD: Yes, Member Kryder.

18 MEMBER KRYDER: So, Mr. Nicholls, back to
19 the point that Mr. Derstine made a moment ago, by
20 potentially utilizing 500 in the existing plant and 300
21 more in the new plant, you're significantly under the
22 nearly, what was it, 3,700 acre feet that you're legally
23 permitted, so that you're utilizing and drawing down over
24 40 years under your model much less water than you're
25 legally permitted to; is that a fair set of statements?

1 MR. NICHOLLS: Member Kryder, yes, that's
2 correct.

3 MEMBER KRYDER: Thank you.

4 BY MR. DERSTINE:

5 Q. So I want to make -- you used the 2023 DWR
6 groundwater model, which is, I think, the most accurate
7 way of kind of analyzing, I guess, groundwater
8 availability, and you used that model for both tests; do
9 I have that right?

10 A. (MR. NICHOLLS) That's correct.

11 Q. Okay. But the tests were different in that you
12 used one test to -- I think you're going to tell us --
13 analyze the impact on on-site and neighboring wells
14 utilizing the combined water use from the expansion
15 project in the existing plant, and then you have more of
16 a long-term, more of a macroanalysis on groundwater
17 availability over the term of 40 years; is that -- did I
18 get that close to being kind of your approach?

19 A. (MR. NICHOLLS) That's correct.

20 Q. Okay.

21 A. (MR. NICHOLLS) You've got that correct.

22 Q. Okay. You want to take us through test number
23 one?

24 A. (MR. NICHOLLS) Certainly.

25 Of course, as you see on this slide, the wells

1 that are proposed for use for the expansion, for the
2 plant expansion, are currently existing on-site. These
3 are wells that are currently being used to provide water
4 to the plant. And they have sufficient pumping capacity
5 and withdrawal authority to support the proposed
6 expansion.

7 The criteria that were used to evaluate
8 availability of groundwater were, in part, based on well
9 impact rules established by DWR. The well impact rules
10 govern the amount of the -- the amount of water level
11 impact that you might have on a neighboring well over a
12 five-year pumping period.

13 On the right screen, you'll see a map that shows
14 the location of wells within one-half mile of the Redhawk
15 Power Plant site. The wells that you see with black
16 symbols are those that are owned by other entities, folks
17 that aren't APS. The wells that you see that are pink
18 are owned by APS. This analysis focused, in particular,
19 on the impacts from the proposed pumping or expansion
20 pumping on the wells owned by others that are located
21 off-site.

22 In accordance with the well impact rules, new
23 wells may not induce more than 10 feet of additional
24 draw-down to an existing registered well, over a
25 five-year pumping period. More than 10 feet of draw-down

1 is considered unreasonably increasing damage to the
2 neighboring well.

3 The second part of the analysis evaluated the --
4 the amount of groundwater elevation change over a 40-year
5 period that is directly attributable to the proposed
6 expanded pumping at the Redhawk Power Plant site.

7 MEMBER KRYDER: Mr. Chairman?

8 CHMN STAFFORD: Yes, Member Kryder.

9 MEMBER KRYDER: You said a moment ago your
10 draw-down 10 feet -- additional 10 feet neighboring wells
11 five years and so on. And this is a regulation. This is
12 a Maricopa regulation or it's a company model or
13 who -- who is drawing the lines here?

14 MR. NICHOLLS: Thank you, Member Kryder.
15 That -- that is a, you know, I'm going to mix this up
16 whether it's in statute or rule -- but in effect it's a
17 DWR regulation. And this applies within the Active
18 Management Areas.

19 MEMBER KRYDER: Thank you.

20 BY MR. DERSTINE:

21 Q. So you're saying it's Member French's rule?

22 MEMBER FRENCH: It's not mine, but I
23 believe it is in rule and within the management plan.

24 MR. DERSTINE: Thank you for that.

25 MR. NICHOLLS: I think, before I leave this

1 slide, one thing I would like to point out to the
2 Committee is this representation of a cone of depression.
3 When we talk about this five-year analysis, what we're
4 doing is we're really evaluating the horizontal extent of
5 this cone of depression. The cone of depression is a
6 funnel-shaped dimple in the water table that originates
7 from the pumping well.

8 And what we want to do with our test is we
9 want to see how far this cone of depression goes
10 off-site, and to see how much draw-down it might induce
11 at the neighboring wells.

12 BY MR. DERSTINE:

13 Q. And that's really what you're analyzing in test
14 one, as you've identified it?

15 A. (MR. NICHOLLS) That's correct.

16 Q. Okay.

17 A. (MR. NICHOLLS) Yeah. And so to conduct this
18 test, we -- we simulated pumping over a period of five
19 years at a pumping rate of 800 acre feet, which is the
20 500 acre feet associated with the current Redhawk
21 operations and the proposed expansion, to total 800 acre
22 feet.

23 What you see on the right screen is a
24 representation of the cone of depression at 500 acre feet
25 pumping over a period of five years, and at a period

1 of -- or at a rate of 800 acre feet pumping over five
2 years. The blue lines that you see with the number on
3 them, in particular the one that I'm highlighting here,
4 so the blue line with the number 2, that means that the
5 water table is down by about 2 feet at that location,
6 when the Redhawk Power Plant wells are running at 500
7 acre feet.

8 If we compare that to the 800-acre-foot value,
9 we see that there's a similar blue line with the number 3
10 on it, which shows us that the water table or the water
11 level, the pumping water level is down about 3 feet at
12 this location while the wells are running. And as we
13 move outward, we see that the numbers on these lines
14 become smaller, and this indicates the extent of our cone
15 of depression. This is what we were looking to
16 understand as that cone of depression becomes shallower
17 away from the pumping wells.

18 The maximum draw-down that we observed was at
19 the pumping wells, which is to be expected in our cone of
20 depression, and that was 3.4 feet at the pumping wells
21 after five years of pumping at 800 acre feet. Of course,
22 because the cone of depression becomes shallower outward,
23 the draw-down experience at other wells is less than that
24 3.4 feet. And the maximum draw-down observed at an
25 off-site well owned by others was 2.6 feet over a period

1 of five years.

2 MEMBER KRYDER: Mr. Chairman?

3 CHMN STAFFORD: Yes, Member Kryder.

4 MEMBER KRYDER: This is modeling, right,
5 this is not actual draw-down, correct?

6 MR. NICHOLLS: Member Kryder, you're
7 correct. This is from a groundwater model.

8 MEMBER KRYDER: And how -- how do you make
9 a model -- I mean, give me, again, a pedestrian look at
10 this thing. How do you make a model without pumping a
11 lot of water out on the ground or putting it in a big
12 truck or something?

13 MR. NICHOLLS: Member Kryder, I appreciate
14 that question, and certainly I can explain that a bit.
15 So the groundwater model is a computer representation.
16 You can think of it in some ways as a three-dimensional
17 drawing of the aquifers. That model is populated with
18 data that DWR has collected, both pumping data and
19 groundwater elevation data over a period of really
20 decades to build that model. That model is then
21 calibrated, which means the model is run for a simulation
22 through time. It will -- let's say we model a 10-year
23 period, and we compare the water levels predicted in the
24 model to water levels that were measured over that
25 10-year period, and then adjustments were made until that

1 model is as accurate as it can be made.

2 And so I think to your question, this is a
3 model which means it's a numerical and computer
4 representation, but it is based on and calibrated to
5 actual measurements.

6 MEMBER KRYDER: And so that's a function,
7 then, of the horizontal movement of the water basically
8 moving back into the cone; is that a fair --

9 MR. NICHOLLS: Yes, that's a fair
10 description. When we think of what that cone of
11 depression looks like, when the pumps are running, we
12 have this cone-shaped depression in the water table.
13 When the pumps turn off, that cone refills, essentially.

14 MEMBER KRYDER: Thank you. That's very
15 helpful.

16 CHMN STAFFORD: Quick follow-up question.
17 In five years after operation, will there be measurements
18 taken to confirm the accuracy of the model?

19 MR. NICHOLLS: Chairman -- Chairman
20 Stafford, I don't know specifically that the water levels
21 at these wells will be measured. Of course, there are
22 wells in the area, index wells that DWR monitors on a
23 regular basis. The model can be validated against those
24 index wells to ensure that it is representative.

25 CHMN STAFFORD: Okay. What -- what has to

1 happen for that to be checked?

2 MR. NICHOLLS: To validate the model, we
3 would compare the model results that we have generated
4 today, let's say five years in the future, against water
5 levels that were measured at that point five years in the
6 future. We would look at what the model predicted and
7 compare it to what was actually measured.

8 CHMN STAFFORD: Right. But does that
9 happen automatically or does someone need to instigate
10 that? Is that something that DWR does routinely or is
11 that they do it upon response to a complaint from someone
12 saying their well -- the water is drawn down at their
13 well?

14 MEMBER FRENCH: The Department of Water
15 Resources has a field services team partnered with our
16 modeling group that goes out and surveys the entire state
17 with all of the index wells that they have and then any
18 other wells that they -- that there are participants in
19 the public that wish to have their wells monitored, and
20 APS does have multiple wells that DWR has access to that
21 are measured frequently.

22 CHMN STAFFORD: Okay. So then DWR would
23 check the impact on the actual APS wells, and then they
24 could kind of infer what the impact to the neighboring
25 wells would be?

1 MEMBER FRENCH: All of the data that's
2 collected through the surveys are then input into the
3 models that DWR has. And all of the measuring data can
4 be found on the Department's website as well.

5 CHMN STAFFORD: Okay. So I'm just -- how
6 do we make sure that the -- that there is a -- that the
7 draw-down in five years is approximately 2.6 feet at the
8 nearest well? How do we -- how do we confirm that?

9 MEMBER FRENCH: So through the Department's
10 monitoring program, they will go out and measure all of
11 these wells over time. And they have been doing it for
12 decades.

13 CHMN STAFFORD: Okay. So --

14 MEMBER FRENCH: And those will inform
15 models in the future. And then if those models show that
16 there is significant draw-down in certain areas, then
17 management plan stipulations can be made.

18 CHMN STAFFORD: Okay. So that's going to
19 happen. We don't need to add that as a condition or
20 something --

21 MEMBER FRENCH: I don't think so.

22 CHMN STAFFORD: -- that's something they
23 will do?

24 MEMBER FRENCH: Correct. I don't think an
25 additional condition would be necessary for this.

1 CHMN STAFFORD: Yeah, that's what I was
2 trying to find out, if it's necessary. Sounds like not.
3 Thank you.

4 MEMBER DRAGO: Mr. Chairman?

5 CHMN STAFFORD: Yes, Member Drago.

6 MEMBER DRAGO: Since it's a technical
7 discussion, I would suggest that maybe we put it in the
8 context of assuming I'm a resident and I have a well near
9 this area, is a draw-down of 3 feet, worst-case, a
10 concern for me?

11 MR. NICHOLLS: Thank you, Member Drago. I
12 think that depends on, I would say maybe the health of
13 the well to begin with. If you're pumping just a few
14 feet below the water level in that well, a draw-down of 3
15 feet might cause you to have to lower your pump or
16 something like that.

17 We have looked at the wells that are
18 closest to the site, and I think, if I go back a slide or
19 two, when we look at these wells, you'll note that
20 they're -- they're not residential wells. At the end of
21 the day, these are associated with some of these solar
22 facilities.

23 And the locations of these wells are based
24 on DWR records. And so we think that some of these
25 wells, for instance, this one at the top, 608003, is not

1 as close to the site as it's shown. I think that it's
2 actually up in this row between the solar panels. And so
3 from that perspective these wells -- we don't expect a
4 resident to have a problem from this.

5 But I would also add that APS, under the
6 terms of a Special Use Permit from Maricopa County, is
7 monitoring certain residential wells in the area for
8 impacts related to pumping at Redhawk.

9 MEMBER DRAGO: Thank you.

10 CHMN STAFFORD: And how far away are those
11 wells? There seems like, since we're not looking at
12 this -- they're not in this picture, I'm assuming they're
13 greater than three miles -- oh, this is half mile -- so
14 they're greater than that.

15 MR. NICHOLLS: Thank you, Chairman
16 Stafford. I think, as we heard in earlier testimony,
17 that the nearest residence is 1.8 miles. I think it's
18 fair to say that the nearest well is at least that far
19 away.

20 CHMN STAFFORD: Okay. So those -- so those
21 residences are using wells for their water?

22 MR. NICHOLLS: I know that some of them
23 are. I don't know that all of them are.

24 CHMN STAFFORD: Okay. And what's --
25 obviously they have to be deeper than the water table.

1 Do we know what the depth of the table is and the typical
2 depth of those wells? Because it seems that, depending
3 on what that is, no one will even notice the three-foot
4 draw-down.

5 MR. NICHOLLS: Yes. Thank you for that
6 question. I do have some information with regards to the
7 depths of those wells and the depths of the water table.

8 There is some geologic variability in the
9 area. As we move towards the east and northeast, we see
10 water levels, I would say in the vicinity of the
11 elementary school, that are about 100 feet below ground
12 surface. As we move further south in the Redhawk Power
13 Plant area and south of that, we see water levels that
14 are closer to 240 feet below ground surface.

15 The domestic wells that I looked at have
16 depths ranging from about 175 feet to 450 feet or so,
17 which means that they're producing, typically from the
18 upper aquifer that I discussed earlier, the upper
19 alluvial unit, whereas the -- the Redhawk wells are
20 producing from the lower alluvial unit, so a deeper
21 aquifer.

22 CHMN STAFFORD: Okay. Thank you.

23 BY MR. DERSTINE:

24 Q. Mr. Nicholls, I just wanted to clarify, and
25 going back to your slide, if I can read it, 215. Can you

1 back up to -- or go ahead, I guess, to 215. That was
2 your conclusion slide. So the -- your model showed
3 draw-down at the Redhawk wells after five years of
4 3.4 feet. Your model showed a maximum draw-down at the
5 nearest registered off-site well, a well owned by someone
6 other than APS, after five years to be 2.6 feet.

7 Do I have that right?

8 A. (MR. NICHOLLS) That's correct.

9 MEMBER KRYDER: Mr. Chairman?

10 CHMN STAFFORD: Yes, Member Kryder.

11 MEMBER KRYDER: Mr. Nicholls, you talk
12 about the upper and the lower aquifer, there is
13 a -- well, what's in between the two?

14 MR. NICHOLLS: Thank you, Member Kryder.
15 The formation that is between those two, I believe is
16 called the Palo Verde clay.

17 MEMBER KRYDER: And about how thick is
18 that, or is it consistently thick or is it puddles and so
19 on and so on?

20 MR. NICHOLLS: It will vary with -- with
21 location, but my understanding is that at the Redhawk
22 Power Plant site it's about 100 feet thick.

23 MEMBER KRYDER: So that a homeowner, as we
24 were talking about it a couple of minutes ago, might go
25 down and be in the upper aquifer or the industrial wells

1 could then drill down through the Palo Verde clay and get
2 down into the lower aquifer, and they would potentially
3 see different impacts of any of your studies or any of
4 the actual pumping, according to where their well was; is
5 that right? They'd be in the upper or in the lower?

6 And then it seems also, from my limited
7 knowledge of irrigation wells, becomes a function of the
8 depth of the pump in the well itself, is that -- I hadn't
9 heard you talk about that at all. Would you elaborate
10 just a little bit on depth of the pump compared to depth
11 of the well? I think there's two different metrics here.

12 MR. NICHOLLS: Certainly.

13 And I think to the first part of your
14 question, you're correct, that pumpers that are producing
15 groundwater from the upper aquifer may not see as
16 significant effects from pumping in the lower aquifer.
17 There is some separation between those. And so that --
18 that clay layer in between does mute the effect of
19 pumping in the lower aquifer in the shallower upper
20 aquifer wells.

21 With regards to the pump depth setting,
22 that will be specific, I would say, well by well. It's
23 also important to consider where that well is -- is
24 perforated. And so some of the older agricultural wells
25 might have perforations or openings to the aquifer in

1 both the shallow and deeper aquifer units in -- in --
2 regardless almost of where you set your pump, you'll
3 produce water from the most productive portion of that --
4 of that zone.

5 But pump depth is important, of course, to
6 the homeowner, because if they have to lower their pump,
7 it costs money. And if they don't have enough well left
8 to lower their pump significantly, obviously, that costs
9 more money.

10 MEMBER KRYDER: Thank you very much.
11 That's greatly appreciated. Again, a view of water in
12 the wells that are going to be used for the Redhawk
13 expansion, those are down in the lower aquifer; am I
14 correct?

15 MR. NICHOLLS: That's correct.

16 MEMBER KRYDER: Okay. And thank you.
17 Appreciate it.

18 MEMBER GOLD: Mr. Chairman?

19 CHMN STAFFORD: Yes, Member Gold.

20 MEMBER GOLD: This is for Mr. Nicholls. Is
21 there 100 percent separation between the upper and lower
22 aquifer or do the waters intermingle?

23 MR. NICHOLLS: They do -- they do, Member
24 Gold. I would say there's almost never 100 percent
25 separation, just because there are potential conduit

1 pathways. For instance, as I described a moment ago,
2 some of the older agricultural wells might be perforated
3 in both the upper and lower aquifers, meaning that they
4 can facilitate communication or flow between the
5 aquifers. There might also be some natural features
6 within the clay where there's areas of sand that allow
7 some communication. But, in particular, that's why I
8 would describe the relationship between the lower and the
9 upper as a muted relationship. It's not necessarily
10 100 percent sealed off one from the other, but it is very
11 restrictive of flow between the two.

12 BY MR. DERSTINE:

13 Q. And I guess, to bring to a conclusion your
14 analysis on test one, the impact to off-site wells, you
15 were siting to the DWR regulations that provide that
16 draw-down to a neighboring well of more than 10 feet
17 after five years is unreasonable. Right here in this
18 case your model shows draw-down of 2.6 feet after five
19 years. And so it's well within the DWR regulations, and
20 that supports your conclusion that the impact on
21 neighboring wells would -- would not be unreasonable?

22 A. (MR. NICHOLLS) That's correct.

23 Q. Okay. Do you want to take us now to your test
24 number two?

25 A. (MR. NICHOLLS) Certainly.

1 And so we also used the groundwater model to
2 simulate pumping at a rate of 800 acre feet per year over
3 a period of 40 years. We selected the period of 40 years
4 because that's a period that we felt reasonably
5 encompassed the operational life of the proposed
6 expansion infrastructure.

7 That -- that 800 years -- or, sorry, 800 acre
8 feet of pumping over 40 years resulted in a change in
9 water levels in the aquifer of approximately 0.05 of a
10 foot per year, which means over 40 years that the aquifer
11 water level changes by about 2 feet, that is directly
12 attributable to the proposed expansion pumping.

13 By comparison, the change in aquifer water
14 levels as a result of all pumping, this means
15 agricultural, municipal, industrial, and other pumping in
16 the area is about 2.4 feet per year.

17 Q. I see your conclusion slide. I think you're
18 ready to give us your conclusions.

19 A. (MR. NICHOLLS) I think so. Unless there are
20 questions?

21 Q. All right.

22 A. (MR. NICHOLLS) Certainly. The Arizona Revised
23 Statutes required that the proposed expansion be
24 evaluated in terms of its potential impact on the -- on
25 the Active Management Area management plan, and also in

1 terms of groundwater availability.

2 In terms of groundwater availability, the model
3 results show that sufficient groundwater is available to
4 support both the expansion and the ongoing, or I should
5 say, the continued pumping associated with current
6 groundwater uses by others, including off-site pumpers.

7 And that this proposed expansion won't result in
8 unreasonable impacts to off-site wells. And, of course,
9 all of this pumping occurs within the water right, the
10 type I water right that APS holds, which means that they
11 have sufficient withdrawal authority to pump this
12 groundwater.

13 Q. Mr. Nicholls, does that conclude your testimony?

14 A. (MR. NICHOLLS) Almost.

15 Q. Okay. Oh, I see there's page number 2 of
16 conclusions, take us there.

17 A. (MR. NICHOLLS) Yeah. So the proposed
18 groundwater pumping does result in a small change in the
19 aquifer water levels over a period of 40 years, and that
20 quantity is 2 feet, as I described earlier. And, of
21 course, the proposed expansion is consistent and
22 compliant with both the fourth and the pending fifth
23 management plans for the Phoenix AMA.

24 MR. DERSTINE: Any further questions from
25 the Committee on groundwater?

1 CHMN STAFFORD: Members?

2 (No response.)

3 MR. DERSTINE: All right.

4 Thank you, Mr. Nicholls.

5 CHMN STAFFORD: This seems like a fitting
6 place to end our day.

7 MR. DERSTINE: Sounds like a -- right
8 straight up 5:00, according to my watch, so --

9 CHMN STAFFORD: All right. Well, with
10 that, we'll recess for the day and return tomorrow
11 morning at 9:00 a.m.

12 (The hearing recessed at 4:59 p.m.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF ARIZONA)
2 COUNTY OF MARICOPA)

3


4 BE IT KNOWN that the foregoing proceedings were
5 taken before me; that the foregoing pages are a full,
6 true, and accurate record of the proceedings all done to
the best of my skill and ability; that the proceedings
were taken down by me in shorthand and thereafter reduced
to print under my direction.

7 I CERTIFY that I am in no way related to any of
8 the parties hereto nor am I in any way interested in the
outcome hereof.

9 I CERTIFY that I have complied with the ethical
10 obligations set forth in ACJA 7-206(F)(3) and ACJA 7-206
11 (J)(1)(g)(1) and (2). Dated at Phoenix, Arizona, this
26th day of August, 2024.

12

13



14

ROBIN L. B. OSTERODE, RPR
CA CSR No. 7750
AZ CR No. 50695

15

* * * * *

16 I CERTIFY that Glennie Reporting Services, LLC,
17 has complied with the ethical obligations set forth in
18 ACJA 7-206(J)(1)(g)(1) through (6).

19

20



21

22 GLENNIE REPORTING SERVICES, LLC
23 Registered Reporting Firm
24 Arizona RRF No. R1035